

MEETING
STATE OF CALIFORNIA
AIR RESOURCES BOARD

CALEPA HEADQUARTERS
BYRON SHER AUDITORIUM
SECOND FLOOR
1001 I STREET
SACRAMENTO, CALIFORNIA

THURSDAY, NOVEMBER 19, 2015

9:14 A.M.

JAMES F. PETERS, CSR
CERTIFIED SHORTHAND REPORTER
LICENSE NUMBER 10063

A P P E A R A N C E S

BOARD MEMBERS:

Ms. Mary Nichols, Chair

Ms. Sandra Berg, Vice Chair

Dr. John Balmes

Mr. Hector De La Torre

Supervisor John Gioia

Mr. John Eisenhut

Ms. Judy Mitchell

Mrs. Barbara Riordan

Supervisor Ron Roberts

Supervisor Phil Serna

STAFF:

Mr. Richard Corey, Executive Officer

Dr. Alberto Ayala, Deputy Executive Officer

Ms. Edie Chang, Deputy Executive Officer

Mr. Kurt Karperos, Deputy Executive Officer

Ms. Ellen Peter, Chief Counsel

Ms. La Ronda Bowen, Ombudsman

Ms. Marijke Bekken, Staff Air Pollution Specialist,
Strategic Planning and Development Section, Mobile Source
Control Division (MSCD)

Mr. Michael Carter, Assistant Chief, Mobile Source Control
Division

A P P E A R A N C E S C O N T I N U E D

STAFF:

Ms. Mary Jane Coombs, Manager, Program Development Section, ISD

Mr. Chris Gallenstein, Staff Air Pollution Specialist, Project Assessment Branch, ISD

Mr. Kyle Graham, Senior Attorney, Legal Office

Mr. Jason Gray, Manager, Market Monitoring Section, ISD

Ms. Jennifer Gress, Legislative Director, Office of Legislative Affairs

Ms. Kim Heroy-Rogalski, Manager, Strategic Planning and Development Section, (MSCD)

Mr. David Hultz, Senior Attorney, Legal Office

Mr. Larry Hunsaker, Staff Air Pollution Specialist, Greenhouse Gas Emission Inventory Branch, Air Quality Planning and Science Division

Ms. Stephanie Kato, Staff Air Pollution Specialist, Energy Section, ISD

Ms. Margret Kim, Senior Attorney, Legal Office

Mr. David Mallory, Manager, Climate Change Policy Section, ISD

Mr. Tung Le, Manager, Regulatory Assistance Section, ISD

Ms. Sara Nichols, Staff Air Pollution Specialist, Program Development Section, Industrial Strategies Division (ISD)

Mr. Johnnie Raymond, Staff Air Pollution Specialist, Climate Change Policy Section, ISD

Ms. Rajinder Sahota, Chief, Climate Change Program Evaluation Branch, ISD

Mr. Craig Holt Segall, Senior Attorney, Legal Office

Mr. Mark Sippola, Program Development Section, ISD

A P P E A R A N C E S C O N T I N U E D

STAFF:

Mr. Mike Tollstrup, Chief, Project Assessment Branch, ISD

Mr. Floyd Vergara, Chief, Industrial Strategies Division

Mr. Erik White, Chief, Mobile Source Control Division

Mr. Daniel Whitney, Attorney, Legal Office

Dr. Emily Wimberger, Chief Economist, Executive Officer

Ms. Jakub Zielkiewicz, Staff Air Pollution Specialist,
Market Monitoring Section, ISD

ALSO PRESENT:

Mr. Alan Abbs, California Air Pollution Control Officers
Association (CAPCOA)

Mr. Jason Barbose, Union of Concerned Scientists

Mr. Brian Biering, ACE Cogeneration

Mr. Jon Costantino, Southern California Public Power
Authority (SCPPA)

Mr. Sean Edgar, CleanFleets.net

Ms. Hannah Goldsmith, California Electric Transportation
Coalition (CaETC)

Mr. Shams Hasan, E&B Natural Resources

Mr. Alex Jackson, Natural Resources Defense Council (NRDC)

Mr. Ryan Kenny, Clean Energy

Mr. John Larrea, California League of Food Processors

Mr. Kent Leacock, Proterra

Mr. Bill Magavern, Coalition for Clean Air

Mr. Jesse Marquez, Coalition for a Safe Environment

A P P E A R A N C E S C O N T I N U E D

ALSO PRESENT:

Ms. Jerilyn Lopez Mendoza, SoCalGas Company

Mr. Chris Peeples, AC Transit

Mr. Chris Shimoda, California Trucking Association (CTA)

Ms. Robin Shropshire, Panoche Energy Center

Mr. Mike Tunnell, American Trucking Association

Mr. Vincent Wiraatmadja, BYD Motors, Inc.

I N D E X

	PAGE
Opening remarks by Chair Nichols	1
Pledge of Allegiance	1
Roll Call	1
Item 15-9-1	
Chair Nichols	3
Executive Officer Corey	4
Staff Presentation	5
Mr. Kenny	21
Mr. Abbs	23
Board Discussion and Q&A	24
Item 15-9-2	
Chair Nichols	27
Executive Officer Corey	29
Staff Presentation	30
Board Discussion and Q&A	54
Ms. Goldsmith	57
Mr. Shimoda	59
Mr. Wiraatmadja	61
Mr. Costantino	63
Mr. Tunnell	63
Mr. Magavern	65
Mr. Leacock	67
Mr. Peeples	69
Mr. Edgar	74
Mr. Barbose	77
Board Discussion and Q&A	78
Item 15-9-5	
Chair Nichols	88
Executive Officer Corey	91
Staff Presentation	93
Board Discussion and Q&A	112
Ms. Mendoza	113
Mr. Jackson	115
Board Discussion and Q&A	117
Item 15-9-3	
Chair Nichols	120
Executive Officer Corey	121
Staff Presentation	122
Ms. Shropshire	134

I N D E X C O N T I N U E D

	PAGE
Item 15-9-3(continued)	
Mr. Jackson	140
Mr. Larrea	142
Board Discussion and Q&A	146
Afternoon Session	150
Item 15-9-6	
Chair Nichols	150
Executive Officer Corey	151
Staff Presentation	152
Board Discussion and Q&A	172
Mr. Barbose	177
Mr. Jackson	179
Item 15-9-4	
Chair Nichols	182
Executive Officer Corey	188
Staff Presentation	190
Mr. Abbs	204
Mr. Magavern	205
Mr. Hasan	207
Mr. Marquez	209
Board Discussion and Q&A	213
Public Comment	
Mr. Biering	223
Adjournment	226
Reporter's Certificate	227

P R O C E E D I N G S

CHAIR NICHOLS: All right. Are we on?

Good morning, everyone. Welcome to the November 19th, 2015 public meeting of the Air Resources Board. People are assembled here. So I think we can begin with the Pledge of Allegiance

(Thereupon the Pledge of Allegiance was Recited in unison.)

CHAIR NICHOLS: Madam Clerk, would you please call the roll.

BOARD CLERK JENSEN: Dr. Balmes?

BOARD MEMBER BALMES: Here.

BOARD CLERK JENSEN: Mr. De La Torre?
Mr. Eisenhut?

BOARD MEMBER EISENHUT: Here.

BOARD CLERK JENSEN: Supervisor Gioia?

BOARD MEMBER GIOIA: Here.

BOARD CLERK JENSEN: Ms. Mitchell?

BOARD MEMBER MITCHELL: Here.

BOARD CLERK JENSEN: Mrs. Riordan?

BOARD MEMBER RIORDAN: Here.

BOARD CLERK JENSEN: Supervisor Roberts?

BOARD MEMBER ROBERTS: Here.

BOARD CLERK JENSEN: Supervisor Serna?

BOARD MEMBER SERNA: Here.

1 BOARD CLERK JENSEN: Dr. Sherriffs?

2 Professor Sperling?

3 Vice Chair Berg?

4 VICE CHAIR BERG: Here.

5 BOARD CLERK JENSEN: Chair Nichols?

6 CHAIR NICHOLS: Here.

7 BOARD CLERK JENSEN: Madam Chair, we have a
8 quorum.

9 CHAIR NICHOLS: Great. Welcome, everyone. I
10 know that many of you got up early this morning to catch
11 planes or get in cars to drive here. And I know at least
12 one of our Board members was up very early this morning,
13 because when I opened up my smartphone Twitter App, I had
14 photo waiting for me from Supervisor Roberts, a beautiful
15 morning shot of downtown Sacramento.

16 (Laughter.)

17 CHAIR NICHOLS: So the Capitol looked beautiful
18 and I felt very welcomed. So beginning with a few
19 announcements. Anyone here who is visiting us for the
20 first time and may not be familiar with our procedures, we
21 have cards outside or available from the clerk. If you
22 want to testify on any item that's on today's agenda, we
23 would appreciate it if you would fill out a card and give
24 it to the clerk. It helps us to know how much time we
25 need to allocate and to put a list together, so we can

1 move forward more quickly. We do have a full day of items
2 ahead of us. We will be imposing a three minute limit on
3 oral testimony. So we'd appreciate it if when you get up
4 to speak, you summarize your comments and don't just read
5 them, because we can understand and follow them as well as
6 looking at the written material as well.

7 I have to point out the emergency exits at the
8 rear of the room, and at the two sides of the dais here.
9 In the even of a fire alarm, we are required to exit the
10 building quickly and go out in the front and assemble in
11 the park until we get an all-clear sign. I don't think I
12 have any other official comments, in terms of the meeting
13 as the whole, so I'll just move right into our opening
14 item here, which is a report from Jennifer Gress, our
15 legislative liaison on this year's air quality and climate
16 change legislation. She and her team had a big year.
17 There was a lot activity around climate and air quality.
18 Probably the two most important issues were relating to
19 budget and to the -- specifically, the money from the
20 Greenhouse Gas Reduction Fund that is created as a result
21 of the allowances that are auctioned for the Cap-and-Trade
22 Program, and also then efforts to enact into law Governor
23 Brown's 2013 climate goals and objectives.

24 So we had a lot of interest in our programs this
25 year, and a tremendous amount of support and enthusiasm

1 for the program, particularly coming from the
2 leadership's, Senate President Pro Tem Kevin de León,
3 Speaker -- Assembly Speaker Toni Atkins, as well as our
4 long time friend Senator Fran Pavley, who is the author of
5 so many of our important bills, but many others as well,
6 stepping up to get involved.

7 And we certainly saw that the Governor's
8 executive order and the statements that he made in January
9 as part of his inauguration and State of the State remarks
10 then were translated into specific legislative enactments
11 and moved forward that now will come back to be
12 implemented by a number of agencies including ours, so
13 this is kind of a civics lesson model, you know, in how
14 things are actually supposed to work.

15 One of the other important pieces of legislation
16 that passed at the end, but was not noticed much was
17 Speaker Atkins 1288, which adds two new members to our
18 Board. These two individuals are designated to be people
19 who have experience working with communities that are most
20 significantly burdened by pollution. So both the Assembly
21 and the Senate will have an appointment, and this will
22 surely help to reinforce our commitment to environmental
23 justice. So we're very pleased about that.

24 Mr. Corey, would you introduce the item?

25 EXECUTIVE OFFICER COREY: Thank you, Chair

1 Nichols. As noted, the passage of SB 350, which codified
2 two of the governor's climate goals to increase renewable
3 energy and energy efficiency by 2030, as well as thought
4 to promote the electrification of transportation, really
5 quite notable. The bill reinforces support for climate
6 action in furtherance of the Governor's 2030 greenhouse
7 gas target, and underscores California's leadership on
8 climate.

9 So indeed, it was a busy year. And our
10 Legislative Director, as noted, Jennifer Gress, will now
11 go over key legislation and events and highlight potential
12 areas of legislative interest this next year.

13 So with that, Jen.

14 (Thereupon an overhead presentation was
15 presented as follows.)

16 LEGISLATIVE DIRECTOR GRESS: Thank you.

17 Good morning, Madam Chair and members. It's a
18 pleasure to be here today to present the 2015 legislative
19 update.

20 I like to start each update with an adjective or
21 two that sums up the year. And this year has been tougher
22 to summarize. We saw bold and exciting on climate with
23 Senate a Pro Tem Kevin de León's SB 350 to codify the
24 Governor's 2030 climate objectives, but it was also a bit
25 deflating at times.

1 Some key measures didn't make it to the finish
2 line and concerns about ARB's broad authority under AB 32
3 were used as a justification to delay or oppose climate
4 action by some. But when I take stock of all that
5 happened, it was an overwhelmingly positive year for air
6 quality and climate.

7 Everything that survived the legislative process
8 was positive. And the effects of some measures, such as
9 SB 350, and the approval of ARB's new laboratory will be
10 felt for years to come. And nothing passed that we didn't
11 like. We agreed with every air quality and climate bill
12 that went to the Governor. Over the next several minutes,
13 I will provide an overview of significant measures and
14 legislative activities that defined the year and will
15 influence ARB's work in the coming months and years.

16 --o0o--

17 LEGISLATIVE DIRECTOR GRESS: Overall, members of
18 the legislature introduced more than 2,400 bills in 2015.
19 808 ultimately became law. ARB's Office of Legislative
20 affairs tracked 359 bills and resolutions related to air
21 quality, climate change, and other topics relevant to ARB
22 and 97 were signed into law.

23 Some of these bills prescribe specific
24 responsibilities for ARB. Your packet includes a table
25 summarizing these new responsibilities. In addition to

1 tracking and analyzing legislation, ARB participated in 16
2 hears and special events concerning such topics as
3 transportation fuels, cap-and-trade auction proceeds,
4 goods movement and the Salton Sea.

5 Among these activities were two Congressional
6 events. Chair Nichols testified at a United States Senate
7 hearing on U.S. EPA's clean Power Plan rule, which you
8 will hear about more later today, and she briefed members
9 of California's Congressional delegation on the State's
10 clean fuels policies and a proposed amendments to the
11 federal Clean Air Act that the automakers were advocating
12 for and that we opposed.

13 Finally, we also devoted a significant effort to
14 reaching out to new members. Of particular note, Chair
15 Nichols, Board Member De La Torre, Executive Officer
16 Corey, and I hosted a number of informal get-togethers
17 with newer members. Our goal was simple: Get to know the
18 members and help to ensure that the lines of communication
19 are open.

20 --o0o--

21 LEGISLATIVE DIRECTOR GRESS: This slide depicts
22 the number of bills we tracked by major subject area. As
23 you can see, the greatest number of bills were related to
24 energy and fuels, followed by climate, government
25 administration including CEQA, motor vehicles and

1 transportation, and so on.

2 The mix of bills was a bit different from last
3 year. Last year, land use and transportation comprised a
4 larger percentage of bills and was the largest category
5 followed by energy and fuels.

6 --o0o--

7 LEGISLATIVE DIRECTOR GRESS: There were five
8 themes or hot topics that percolated throughout ARB's
9 legislative activity this year.

10 These included: Post-2020 climate action, such
11 as setting energy efficiency, renewable energy, and
12 greenhouse gas reduction goals for 2030; the expenditure
13 of cap-and-trade auction proceeds; environmental justice;
14 ensuring that rural areas benefit from incentive funding;
15 and, two efforts ARB initiated to address mobile source
16 initiatives -- emissions.

17 In the next several slides I'll highlight some of
18 the most significant efforts in each of these areas.

19 --o0o--

20 LEGISLATIVE DIRECTOR GRESS: Pro tem De León's SB
21 350 proved to be the defining bill this year. The bill
22 originally sought to codify three of Governor Brown's 2030
23 climate goals, including increasing the amount of
24 electricity generated from renewable sources from 33 to
25 750 percent, doubling the energy efficiency savings of

1 excite buildings, and reducing California's petroleum use
2 by cars and trucks by up to 50 percent.

3 The Western States Petroleum Association launched
4 a campaign focused on both members of the legislature and
5 the public at large opposing the petroleum reduction
6 provide of SB 350. In opposing this provision, members
7 raised concerns about ARB's broad authority under AB 32
8 and called for increased oversight.

9 There was a firestorm of proposals to require
10 legislative review and approval of ARB's plan to reduce
11 petroleum or to narrow ARB's scope of authority
12 altogether. Petroleum reduction had become a sideshow
13 that unnecessarily jeopardized the greater goals of SB 350
14 and ARB's authority. That provision was removed from the
15 bill, but California will continue to move forward. The
16 next update to the scoping plan will establish the path
17 for achieving the Governor's 2030 greenhouse gas target,
18 and ARB will ensure that measures included in the scoping
19 plan meet the 50 percent petroleum reduction goal.

20 In service to this effort, SB 350 includes
21 provisions calling on the California Public Utilities
22 Commission to do more to support transportation
23 electrification.

24 Setting aside the opposition to petroleum
25 reduction, SB 350 was important not just for its policy

1 objectives, but also for the support it galvanized from a
2 large and diverse coalition of stakeholders and
3 legislators for climate action post-2020. This support
4 will be crucial as ARB and other agencies move forward to
5 achieve the Governor's 2030 greenhouse gas reduction
6 target.

7 --o0o--

8 LEGISLATIVE DIRECTOR GRESS: SB 32, authored by
9 Senator Pavley was intended to codify the Governor's 2030
10 and 2050 greenhouse gas reduction targets. However, the
11 bill garnered substantial opposition with members
12 expressing the same concerns for SB 32 as they did for SB
13 350. In the end, the bill did not have sufficient votes
14 for passage, but I do expect this issue to be revisited
15 next year.

16 --o0o--

17 LEGISLATIVE DIRECTOR GRESS: The expenditure of
18 cap-and-trade auction proceeds was another major area of
19 activity this year. There were a total of 42 bills
20 related to auction proceeds up from 22 last year.
21 Twenty-eight of these bills either created a new funding
22 program or amended an existing one. The programs
23 identified in these bills ranged from agricultural
24 practices to energy efficiency, to infrastructure for low
25 carbon fuels. Although there were a large number of

1 bills, they were all held in the Appropriations Committees
2 and did not move forward.

3 With regard to the budget, cap-and-trade
4 expenditures were removed from the Budget Act in June with
5 the expectation that a separate cap-and-trade budget would
6 be taken up in August. At the end, it was not possible to
7 adopt a budget on auction proceeds this year. While this
8 was one of those deflating moments I mentioned earlier,
9 the legislature did pass SB 101, which was a stopgap
10 measure to keep key programs solvent through early 2016.
11 ARB received 90 million, which the Board allocated to the
12 Clean Vehicle Rebate Project, the Hybrid and Zero Emission
13 Voucher Incentive Project, and the Enhanced Fleet
14 Modernization Program at the October Board meeting.

15 In addition to spending proposals contained in
16 legislation and in the budget, Governor Brown called a
17 special session on funding for the maintenance and repair
18 of California's transportation infrastructure. The
19 Governor released a plan that includes a road improvement
20 charge for all vehicles, increase in gasoline and diesel
21 fuel taxes, and 500 million in auction proceeds annually
22 for transit and a new program called low carbon roads.

23 Agreement was not reached by the time the
24 legislature recessed for the year, and discussions
25 regarding transportation funding will continue when the

1 members return in January.

2 --o0o--

3 LEGISLATIVE DIRECTOR GRESS: A third major theme
4 throughout the year was environmental justice. Concern
5 about environmental justice and disadvantage communities
6 was raised in many different contexts, including
7 legislation and the budget. The legislature considered a
8 number of bills to help protect and empower California's
9 most vulnerable communities, which remain the most
10 susceptible to the impacts of air pollution and climate
11 change.

12 The first bill is AB 1288 by Speaker Toni Atkins.
13 AB 1288 adds two new members to the Board. One member
14 will be appointed by the Senate Rules Committee and one by
15 the Assembly Speaker. And both members must have direct
16 experience working with environmental justice communities
17 that are significantly impacted by and vulnerable to high
18 levels of pollution.

19 The desire for legislative appointees with
20 environmental justice experience arose from two distinct
21 forces. As I mentioned, SB 350 SB 32 were met with
22 concerns that ARB had too much authority, did not
23 adequately consider legislative input, and could adopt
24 measures that might harm the economy. Many in the
25 legislature called for more legislative oversight, and

1 adding legislative appointees to the Board was one way to
2 address these concerns.

3 At the same time, environmental justice advocates
4 wanted a stronger voice in Board decision making,
5 particularly on post-2020 climate policies and were
6 lobbying members of the legislature to include Board
7 appointments in their bills.

8 SB 350 also includes numerous provisions to
9 ensure that low income households and residents living in
10 disadvantaged communities benefit from the State's clean
11 energy and pollution reduction policies. For example, the
12 bill requires the California Energy Commission and the
13 Public Utilities Commission to review programs and make
14 recommendations to provide benefits to disadvantaged
15 communities, as well as to establishing an advisory group
16 comprising representatives from disadvantaged communities
17 to review and advise them on proposed programs to achieve
18 clean energy and pollution reduction in these communities.

19 --o0o--

20 LEGISLATIVE DIRECTOR GRESS: Continuing with the
21 environmental justice theme, AB 1059 by Eduardo Garcia
22 requires the Office of Environmental Health Hazard to
23 include -- to update the CalEnviroScreen tool to more
24 accurately reflect pollution in the California/Mexico
25 border region. Given the fundamental role CalEnviroScreen

1 plays in identifying communities for priority investment
2 of cap-and-trade auction proceeds, it is critical that it
3 be as robust as possible.

4 AB 1071 by Speaker Atkins benefits disadvantaged
5 communities by requiring ARB and other CalEPA agencies to
6 establish a policy on supplemental environmental projects
7 or SEPs. The intent is to benefit such communities. And
8 the bill increases the total fraction of penalties that
9 can be diverted to a SEP from 25 percent to 50 percent. A
10 SEP can be part of a penalty settlement whereby a violator
11 directs a portion of his or her penalty to a specified
12 project intended to mitigate the impact of the violation
13 on public health and the environment.

14 ARB will be convening a public process in 2016 to
15 identify potential SEP projects that provide a nexus to
16 air quality and benefit advantaged communities and to
17 update its SEP policy.

18 AB 156 by Assembly Member Perea, and SB 398 by
19 Senator Leyva, would establish outreach and technical
20 assistance programs to assist disadvantaged and lower
21 income communities in accessing cap-and-trade proceeds.
22 Both bills were held in the Appropriations committees.

23 The need to provide greater outreach and
24 technical assistance has been consistently raised by
25 stakeholders over the past couple of years. In response,

1 the administration proposed funding for, and the
2 legislature approved, several positions in 500,000 in
3 contract funds in the 2015-16 budget. ARB received two
4 positions, one to serve as a liaison providing technical
5 assistance for ARB's Low Carbon Transportation Program and
6 one to coordinate with community advocates and the
7 liaisons at each administering State agency.

8 ARB will use the contract funds to hire a
9 contractor to conduct outreach to disadvantaged
10 communities and improve the availability of assistance.

11 --o0o--

12 LEGISLATIVE DIRECTOR GRESS: Ensuring that rural
13 areas benefit from incentive programs was another theme.
14 This topic was not as prominent in legislation, but rather
15 was the subject of discussions with members and was also
16 reflected in stakeholder comments on the draft investment
17 plan for cap-and-trade auction proceeds. ARB made a
18 number of commitments to increase funding for rural areas
19 to address specific issues raised by members of the
20 legislature.

21 To address concerns that Lake County and other
22 small rural air districts do not have sufficient funds to
23 provide incentives for the replacement or retrofit of
24 trucks subject to ARB's truck and bus regulation, ARB
25 agreed to provide multi-district funds under its control

1 through the Carl Moyer program for this purpose. ARB will
2 be working with CAPCOA to determine how best to accomplish
3 this objective.

4 In addition, Senator McGuire raised concerns
5 about inadequate funding for new school buses in small
6 rural communities. The Senator introduced a bill to
7 provide cap-and-trade funds for this purpose, but the bill
8 was held. To address this need, ARB staff proposed, and
9 the Board approved, five million in low carbon
10 transportation funds for school bus projects that reduce
11 greenhouse gas emissions in these areas. Staff has been
12 working with Senator McGuire's staff and other
13 stakeholders to develop this new project category.

14 --o0o--

15 LEGISLATIVE DIRECTOR GRESS: The next two sides
16 focus on efforts ARB initiated regarding mobile source
17 emissions. The first was a bill to modernize the Carl
18 Moyer Program. As you may recall, in 2013, AB 8 by
19 Assembly Member Perea required ARB and the air districts
20 to establish a working group to evaluate the Carl Moyer
21 Program.

22 With Board Member Berg's leadership, ARB convened
23 working groups to solicit input on potential changes to
24 the Carl Moyer and AB 923 local air district programs,
25 which culminated in a final report to the Board in

1 December last year. ARB and CAPCOA developed legislative
2 language to implement the recommendations in that report,
3 which Senator Jim Beall championed in SB 513.

4 SB 513 makes a number of changes, including
5 giving ARB more flexibility to establish appropriate cost
6 effectiveness limits to allow for the cleanest
7 technologies, better enabling the leveraging of multiple
8 funding sources to encourage the deployment of advanced
9 technologies, as well as large or complex projects,
10 expanding the types of projects eligible for funding, and
11 streamlining and improving administration of the program.
12 This bill was an important success for ARB, and an example
13 of strong partnership between ARB and CAPCOA.

14 --o0o--

15 LEGISLATIVE DIRECTOR GRESS: A second major
16 success in the mobile source arena was securing approval
17 in the budget for 5.9 million to start work on a new
18 laboratory in Southern California. We originally
19 requested this funding to assess the suitability of a
20 proposed site on State-owned land in Pomona, and develop
21 detailed design guidelines and performance criteria for
22 the proposed facility. When completed, the total costs to
23 build the new lab are estimated to be about 366 million.

24 The legislature approved the 5.9 million for the
25 project, but there were a few changes to the proposal

1 based on concerns that the proposal didn't consider other
2 viable sites. As a result, ARB had access to three
3 million starting July 1, and has expanded its evaluation
4 to include sites in both Pomona and Riverside.

5 Budget bill language specifies that ARB must
6 allow Pomona and Riverside representatives to make on-site
7 presentations to our site evaluation team and that ARB
8 must support a report -- submit a report to the
9 Legislative Budget Committee for a 30 day review on the
10 action taken by the Board on selecting a site. Upon
11 completion of these actions, the remaining 2.9 million
12 will be available to ARB.

13 The on-site presentations occurred about three
14 weeks ago and staff is preparing a draft report on the
15 site assessment. Board consideration is expected to occur
16 in February.

17 --o0o--

18 LEGISLATIVE DIRECTOR GRESS: The new lab was our
19 most significant budget success, but it was by no means
20 the only one. This year, ARB presented nine other budget
21 proposals to the legislature, all of which were approved
22 with only a few modifications for a total of 26 additional
23 positions in 2.6 million for contracts and equipment.

24 The proposal's increased resources for a range of
25 programs, including implementing Low Carbon Transportation

1 projects, quantifying the greenhouse gas benefits
2 cap-and-trade investments, and strengthening monitoring
3 and enforcement of the Low Carbon Fuel Standard, among
4 others things.

5 --o0o--

6 LEGISLATIVE DIRECTOR GRESS: As you can see,
7 there are a number of significant issues that were not
8 fully resolved this year and will continue after the new
9 year. The first is appropriation of cap-and-trade auction
10 proceeds for the 2015-16 fiscal year. There is no
11 concrete timeline for concluding this item. A budget
12 could be taken up in the early part of the year or the
13 remaining funds for 2015-16 could get rolled into the
14 2016/17 budget. Transportation funding will continue to
15 be discussed, and the Governor's proposal has implications
16 for the cap-and-trade budget, as I mentioned earlier.

17 Conversations on post-2020 climate action will
18 continue next year, particularly as ARB develops the next
19 scoping plan update and proposes amendments to the
20 cap-and-trade regulation that extend the program beyond
21 2020.

22 Outreach to new members and their staff will
23 continue. ARB is spearheading many important and high
24 profile initiatives that members will care about. So it
25 will be important for us to continue getting to know them

1 and engage them to the extent possible.

2 --o0o--

3 LEGISLATIVE DIRECTOR GRESS: Before concluding, I
4 want to acknowledge my great staff. Marci Nystrom, who is
5 new to the Legislative Office this year and doing an
6 outstanding job managing the office; Robin Neese, who
7 keeps my calendar in order; Ken Arnold; Dominic Bulone,
8 Natalya Eagan, who is another newcomer. Natalya's primary
9 subject area is cap-and-trade auction proceeds, which
10 means that she really has about 10 primary subject areas.

11 (Laughter.)

12 LEGISLATIVE DIRECTOR GRESS: Danny Roberts, and
13 our two veterans Nicole Sotak and Steve Trumbly.

14 --o0o--

15 LEGISLATIVE DIRECTOR GRESS: Copies of the 2015
16 legislative summary are in your pocket and can also be
17 accessed on our website. The legislative summary contains
18 brief descriptions of the most pertinent legislation
19 tracked by the Legislative Office, listed by subject,
20 author and bill number.

21 That concludes my presentation. I would be happy
22 to answer any questions.

23 CHAIR NICHOLS: Thank you, Jen. We do have two
24 people who have asked to speak on this item. So why don't
25 we give them an opportunity to speak, and then maybe if

1 Board members have any additional comments, we can
2 entertain those. Starting with Ryan Kenny of Clean
3 Energy.

4 MR. KENNY: Good morning, Madam Chair. Is that
5 better?

6 CHAIR NICHOLS: Yes.

7 MR. KENNY: Good morning, Madam Chair, members of
8 the Board. My

9 Ron name is Ryan Kenny. I'm with Clean Energy.
10 We are the nation's largest provider of natural gas and
11 natural gas transportation fuel. And we -- it was
12 obviously a productive year for the environment and for
13 ARB's goals. But we do believe that under unfinished
14 business that there should be for 2016 a mention of Class
15 7 and 8 alternate fuel vehicle incentives.

16 That was one of the glaring omissions that we had
17 back in 2016 -- or 2015, and we would appreciate ARB
18 supporting such an endeavor for the next year. As you
19 know, there are several robust and admirable environmental
20 goals by both Governor Brown and ARB and the State. And
21 we don't believe that those goals can be met without
22 alternate fuel heavy-duty vehicles. Those goals,
23 especially for greenhouse gas emission reductions,
24 short-lived climate pollutants, sustainable freight, and
25 of course, federal attainment goals, we don't think any of

1 those can be met without the introduction of alternate
2 fuel vehicles in the heavy-duty space.

3 As you know, ARB recently certified the 0.02 NOx
4 engine by Cummins Westport. We believe it's a game
5 changer for both the environment and public health. And
6 those engines are due to be deployed in the first quarter
7 of 2016. And unlike what ARB has mentioned with both
8 electric vehicle and fuel cells, which may not be ready
9 for 15 to 35 years. So these are ready to go and they
10 could be a game changer for the environment and public
11 health. So again, we would appreciate ARB's support in
12 2016.

13 Thank you.

14 CHAIR NICHOLS: Before you leave, do you have any
15 reason to believe that those are programs that could not
16 be funded without legislation? Is legislation required to
17 fund the trucks that you're interested in?

18 MR. KENNY: That's a good question. Right now,
19 with the Low Carbon Transportation Fund, there isn't any
20 funding for heavy-duty alternative fuel vehicles. That's
21 something that we would appreciate with cap-and-trade
22 funds or any other funding mechanism. But we do believe
23 because of the scope and as many heavy-duty vehicles as
24 there are right now using both diesel fuels or petroleum
25 fuels that a substantial amount of funding is required to

1 get these vehicles deployed and on the road.

2 CHAIR NICHOLS: I understand your interest in
3 funding. And I wasn't challenging that. I was just
4 asking the question about whether there was a legal
5 requirement that we lacked authority in some way to do
6 that.

7 MR. KENNY: No. No lack of authority.

8 CHAIR NICHOLS: Okay. Thank you.

9 MR. KENNY: Thank you.

10 CHAIR NICHOLS: Alan Abbs from CAPCOA.

11 MR. ABBS: Good morning, Chairperson Nichols and
12 members of the Board. My name is Alan Abbs. I'm the
13 Executive Director for the California Air Pollution
14 Control Officers Association, or CAPCOA.

15 First off, I wanted to express appreciation for
16 the acknowledgement of the rural issues that Ms. Gress had
17 in her presentation. I've tried to get the rural air
18 districts to be more active in the process. And I think
19 we're having some pretty good success in getting them to
20 identify their concerns, and in turn, it's great that ARB
21 is acknowledging those concerns and offering to work with
22 the rural districts. And I think the establishment of
23 this rural school bus pilot project is going to be a great
24 example of how rural districts can get things
25 accomplished. And I think that program is going to be

1 oversubscribed, and it's going to be a success. That's my
2 prediction.

3 CHAIR NICHOLS: Good.

4 (Laughter.)

5 CHAIR NICHOLS: That's what we like.

6 MR. ABBS: The second thing I'd like to mention
7 is the SB 513 legislation, and to express our appreciation
8 for ARB's partnership in that -- getting that bill to the
9 goal line. It was a CAPCOA sponsored bill. We couldn't
10 have done it without the help of ARB and their various
11 staff members with meetings that we had with them, going
12 over potential changes to legislation, the work group
13 process that we had. And we thought it was going to be an
14 easy bill because everyone loves the Carl Moyer program,
15 but no bill is an easy bill, and we couldn't have done it
16 without ARB support. So we'd like to thank staff for
17 helping us get that to the finish line.

18 CHAIR NICHOLS: That's great. May I ask whether
19 you have a -- as of yet, a list of legislation that CAPCOA
20 is planning to pursue in the next session?

21 MR. ABBS: We're hoping to take a break.

22 (Laughter.)

23 CHAIR NICHOLS: Okay. Thanks. All right.

24 Any comments questions or questions for Ms. Gress
25 from Board members?

1 If not, we'll just thank you for a great year.

2 Oh, we do have one.

3 BOARD MEMBER RIORDAN: Well, it's more of a
4 comment. And the efforts by Jennifer and staff I think
5 were wonderful, because this was not an easy year. I
6 don't care what anyone says. There are some critical
7 issues in financing. And we do need partnerships and
8 assistance, particularly on the cap-and-trade auction
9 proceeds. Those of you in the audience and those who
10 might be watching know that those are really critical
11 components of projects that really need to move forward.
12 And so whatever we can do together will be very much
13 appreciated.

14 And then I just want to put a footnote in for the
15 rural funding for school buses. That's really a very
16 helpful thing for all of the mid-size and small districts,
17 and those who are, you know, part of very small school
18 districts that just don't have funds for new school buses,
19 but drive very old buses. So thank you very much.

20 CHAIR NICHOLS: And places where they really need
21 the school buses too. They're used.

22 BOARD MEMBER RIORDAN: Absolutely, yeah.

23 BOARD MEMBER GIOIA: Madam Chair, question?

24 CHAIR NICHOLS: Thank you.

25 Yes, Mr. Gioia.

1 BOARD MEMBER GIOIA: Thanks for the report,
2 Jennifer. I just had a question. There have been a lot
3 of discussion, as you know, on the CalEnviroScreen maps
4 from various regions of the state. And you mentioned AB
5 1059, which requires OEHHA to update CalEnviroScreen for
6 the California-Mexico border region. In the context of
7 this discussion about this bill, did it come up that there
8 were concerns about the map from other parts of the State
9 and just how did that play out?

10 LEGISLATIVE DIRECTOR GRESS: Well, on the -- with
11 regard to the California border region, it had been --
12 in -- as CalEnviroScreen was being discussed a year ago
13 when the Bay Area and other areas started first raising
14 concerns about whether or not there communities were
15 represented, there were some data challenges at the border
16 region that needed to be addressed, missing data and such.
17 And so, you know, we've been working to provide data to
18 OEHHA and get additional monitors set up near the border
19 region. So it was -- that bill really arose out of a
20 concern of lack of data at the border.

21 BOARD MEMBER GIOIA: I see. So it was more
22 focused on that issue, not the other issues that came up
23 with regard to the map?

24 LEGISLATIVE DIRECTOR GRESS: Um-hmm.

25 BOARD MEMBER BALMES: Supervisor Gioia, I just

1 wanted to add that I'm aware that OEHHA is actually
2 considering revisions to CalEnviroScreen. You know,
3 they're at 2.0 at this point. I don't know what they're
4 going to call the next version, but -- because I've been
5 contacted, because I expressed some concerns formally in a
6 letter --

7 BOARD MEMBER GIOIA: Right.

8 BOARD MEMBER BALMES: -- about the mapping. So
9 they are looking at changing it. I don't actually know
10 how it's going to come out, but -- so that would affect
11 other areas aside from the Mexico border.

12 BOARD MEMBER GIOIA: Right. That would. Thanks.

13 CHAIR NICHOLS: All right. Thank you very much.
14 Our next item is response to the Board's request that we
15 made in July for more information about the current status
16 of advanced technologies for heavy-duty vehicles. So this
17 builds nicely on the last discussion. These technologies,
18 including hybrids, batteries, fuel cells, advanced
19 technologies of all kinds, including natural gas, are
20 needed to be near- and long-term criteria and greenhouse
21 gas reduction goals.

22 Last month, the Board heard about the Air
23 Resources Board's mobile source strategy, which outlines
24 our control measures that we're either currently or
25 contemplating which outlines ARB ideas that are going to

1 go into the 2016 SIP submittals.

2 In July, the staff briefed the Board on the U.S.
3 EPA's proposed phase 2 greenhouse gas standards for
4 medium- and heavy-duty vehicles. And at the time, we
5 talked about the fact that staff believes strongly that
6 the proposal is not stringent enough to drive development
7 of advanced technologies, including hybrids and battery
8 and fuel cell electric vehicles.

9 These types of advanced technologies clearly are
10 needed to support the planning and regulatory efforts that
11 we have underway. Development of these advanced
12 technologies supports key measures in the mobile source
13 strategy and will help the State meet 2030 greenhouse gas
14 and petroleum reduction targets, as well as make an
15 important contribution to the sustainable freight action
16 plan. So we need these EPA standards to be stronger and
17 we need them to specifically be developed in a way that
18 will encourage development of more advanced technology
19 vehicles.

20 So in July, we asked the staff to return with
21 more information to give us an update on the status of
22 these vehicles. And this report is based on findings of
23 several technology assessments that the staff has
24 completed over the past year.

25 So, Mr. Corey, would you please introduce this

1 item?

2 EXECUTIVE OFFICER COREY: Yes. Thanks, Chair
3 Nichols.

4 One of ARB's objectives is to transform the on-
5 and off-road mobile source fleet into one utilizing zero
6 and near zero emission technologies. To support this
7 subjective, in early 2014, staff began a series of
8 technology assessments for a variety of source categories
9 including trucks and buses. The assessments evaluate the
10 current state and projected development of technologies.

11 Staff presented an overview of the assessments to
12 the Board in December 2014. Since then, staff has
13 released a number of draft assessments, including two in
14 September, one for lower NOx, heavy-duty diesel engines,
15 and one for low emission natural gas low NOx emission
16 natural gas and other alternative fuel heavy-duty engines.

17 The two assessments concluded that NOx emissions
18 from diesel and natural gas trucks can be reduced
19 significantly, significantly from today's levels. More
20 recently, staff has released draft assessments for medium-
21 and heavy-duty hybrid vehicles, battery electric vehicles,
22 and fuel cell electric vehicles. These three technology
23 assessments provide a comprehensive assessment of the
24 current state and projected development of technologies
25 over the next five to 10 years, suitability for different

1 applications, and current and anticipated costs and
2 emission levels.

3 Today, staff will share key findings with the
4 Board. These assessments will provide support for ARB's
5 planning and regulatory development efforts, including the
6 2030 scoping plan, which the Board will hear about a
7 little bit later today, and California's Sustainable
8 Freight Action Plan, which the Board will hear about next
9 month.

10 Marijke Bekken of the Mobile Source Control
11 Division will provide a summary of these three
12 technologies assessments.

13 Marijke.

14 (Thereupon an overhead presentation was
15 presented as follows.)

16 AIR POLLUTION SPECIALIST BEKKEN: Thank you, Mr.
17 Corey. Good morning, Chair Nichols, members of the Board.

18 --o0o--

19 AIR POLLUTION SPECIALIST BEKKEN: As the Board is
20 well aware --

21 BOARD MEMBER GIOIA: Clearly, the mic, yeah.

22 AIR POLLUTION SPECIALIST BEKKEN: Can we have the
23 next slide, please?

24 As the Board is well aware, California needs
25 dramatic NOx reductions to meet air quality standards,

1 especially in the South Coast, and faces aggressive
2 targets for reducing greenhouse gas emissions.

3 To meet those goals, particularly the long-term
4 climate mitigation goals, California's medium- and
5 heavy-duty trucks will need to become significantly lower
6 emitting than today. As the Board heard last month, staff
7 is developing a mobile source strategy intended to support
8 multi planning efforts.

9 Supporting this, ARB staff undertook the
10 technology assessments as a comprehensive examination of
11 the current status of, and 5 to 10 year outlook for,
12 technologies to support ARB's long-term objective of a
13 zero and near zero emission mobile source fleet. The
14 hybrid, battery electric, and fuel cell electric
15 assessments evaluate technologies for medium- and
16 heavy-duty vehicles, those with gross vehicle weights over
17 8,500 pounds. They're intended to provide the technical
18 foundation for the mobile source strategy and other
19 upcoming planning and rule-making work.

20 --o0o--

21 AIR POLLUTION SPECIALIST BEKKEN: In developing
22 the mobile source strategy, it is clear that a portfolio
23 of technologies will be needed. This strategy recognizes
24 that we anticipate needed lower NOx emissions from
25 conventional trucks and commits staff to bring a proposal

1 for mandatory lower NOx standards to the Board within the
2 next few years.

3 It also identifies the need for increased use of
4 a suite of renewable fuels, and in the long term robust
5 deployment of zero emission technologies like battery
6 electric and fuel cell electric. As you will hear, these
7 technologies are either currently commercially available
8 or under demonstration and include low NOx combustion
9 engines, hybrids, fuel cell, battery electric vehicles.
10 These technologies are capable of delivering very low or
11 zero tailpipe emissions. However, to achieve even greater
12 GHG reductions, extensive utilization of renewable fuels
13 is also needed, especially for technologies that rely on
14 combustion engines. Use of advanced technologies, coupled
15 with renewable fuels, will result in lower -- will result
16 in maximum well-to-wheel GHG reductions from the mobile
17 sector.

18 --o0o--

19 AIR POLLUTION SPECIALIST BEKKEN: The technology
20 assessments that ARB staff has undertaken provide a
21 forward look that will help provide the technical
22 foundation for future ARB efforts, including potential new
23 regulations, development of renewable fuel requirements,
24 infrastructure investments, and demonstration and
25 deployment efforts for advanced technologies.

1 The technology assessments will provide input as
2 well to other California State programs already investing
3 in advanced technologies, such as ARB's Low Carbon Fuel
4 Standard, and air quality improvement program, and the
5 Energy Commission's Alternative and Renewable Fuel and
6 Vehicle Technology Program.

7 --o0o--

8 AIR POLLUTION SPECIALIST BEKKEN: Over the past
9 two years, staff has been working on a variety of
10 assessments of the status of various technologies that
11 might be pursued to reduce criteria pollutant and GHG
12 emissions from the medium- and heavy-duty fleet. Nearly,
13 a dozen reports have been released thus far, including
14 recent releases of assessments for low NOx diesel and
15 natural gas, as well as the three reports that are the
16 primary focus of this Board update, namely the status of
17 hybrid, battery electric, and fuel cell electric
18 technology for use in medium- and heavy-duty trucks.
19 Other assessments, including aviation and fuels are in the
20 works and scheduled to be released over the next year.

21 --o0o--

22 AIR POLLUTION SPECIALIST BEKKEN: Overall, the
23 technology assessments are yielding key findings for both
24 near-term and longer-term technologies providing a pathway
25 to 2030 climate reduction targets and beyond. In the near

1 term, there is a strong focus on deployment of clean
2 combustion technologies coupled with the use of renewable
3 fuels. This will maximize the NOx emission reductions
4 that are needed for air quality attainment goals and will
5 increase the use of renewable fuels needed to ensure
6 progress toward the 2030 goals.

7 At the same time, continued progress on the
8 demonstration and deployment of zero emission vehicles is
9 still necessary to support increased commercialization of
10 these technologies and to provide a way to continue
11 reducing localized exposure risk. In the longer term, the
12 focus is on supporting continued growth for zero emission
13 technology and its associated infrastructure. At the same
14 time, clean combustion technologies will continue to play
15 a key role, and increasing renewable fuels needs will
16 continue.

17 --o0o--

18 AIR POLLUTION SPECIALIST BEKKEN: Before I turn
19 to the three advanced technology assessments though, let
20 me talk a bit more about the two assessments that we
21 released in September, both looking at the potential for
22 achieving lower NOx emissions from diesel and natural gas
23 truck engines.

24 --o0o--

25 AIR POLLUTION SPECIALIST BEKKEN: Overall, the

1 diesel and natural gas engine technology assessments found
2 that NOx emissions from both diesel and natural gas
3 heavy-duty engines can be significantly reduced even while
4 keeping greenhouse gas emissions low. For diesel engines,
5 reducing NOx emissions far below today's 0.2 gram NOx
6 engines will require significant emission reductions
7 during cold start and during low temperature low speed
8 operations, while maintaining high selective catalytic
9 reduction conversion efficiency at high speed high
10 temperature operation.

11 For natural gas engines, emissions can be
12 significantly reduced using a system's approach, combining
13 advanced three-way catalysts with engine management
14 strategies. In fact, Cummins Westport recently certified
15 its 8.9 liter spark-ignited natural gas engine to ARB's
16 0.02 gram per brake horsepower-hour optional NOx standard.
17 ARB is currently contracting with Southwest Research
18 Institute to demonstrate a 13 liter diesel and a 12 liter
19 natural gas engine with an emission target rate of 0.02
20 gram per brake horsepower-hour NOx and minimal or no GHG
21 emissions increase.

22 Other organizations, such as the South Coast Air
23 Quality Management District, in partnership with the
24 Energy Commission, SoCalGas and Cummins Westport are
25 currently funding low-NOx natural gas engine development

1 projects on a number of other engine sizes as well.

2 --o0o--

3 AIR POLLUTION SPECIALIST BEKKEN: Last month,
4 when staff updated the Board about the mobile source
5 strategy, a number of stakeholders raised concerns
6 regarding the extent to which some potential measures rely
7 on advanced technologies. They questioned whether our air
8 quality goals might be met more cost effectively via the
9 use of low NOx technologies, such as natural gas.

10 The natural gas technology assessment confirms
11 that natural gas engines do hold promise in many
12 applications, are likely to be available in lower NOx
13 models more quickly than diesel engines, and are certainly
14 part of the future vehicle landscape. However, to meet
15 the State's long-term goals, because NOx tailpipe and
16 well-to-wheel GHG emissions from heavy-duty natural gas
17 and diesel vehicles are expected to be higher than those
18 from fuel cell and battery electric vehicles, staff
19 believes there is a critical need for advanced zero
20 emission technologies as well. Simply relying on a shift
21 in natural gas powered, low NOx, heavy-duty trucks alone
22 will not be sufficient to meet California's air quality
23 challenges in the long term, as they will need to be
24 powered by renewable fuels to keep deep -- to provide deep
25 GHG reductions, and there are concerns that the available

1 quantities of such feels could be limited.

2 On the next slide, I'll talk more about how staff
3 plans to continue to work with the natural gas industry
4 and other interested stakeholders as we continue our
5 planning and rule-making work.

6 --o0o--

7 AIR POLLUTION SPECIALIST BEKKEN: In May, ARB
8 staff released a concept for the advanced clean transit
9 regulation, which is scheduled for consideration next
10 year. With deployments of commercialized zero emission
11 buses already occurring, staff sees transit fleets as an
12 ideal early application for advanced technologies like
13 electric and fuel cell buses.

14 Given that low emission natural gas engines are
15 also being developed, and that fueling infrastructure
16 already exists, there has been much discussion recently
17 with the natural gas and transit industries about the role
18 of buses using such engines in the advanced clean transit
19 regulation.

20 Staff's concept would result in a mix of cleaner
21 combustion buses and zero emission buses. It is expected
22 to drive use of low NOx technologies and renewable fuels,
23 and the phase-in of zero electric -- zero emission
24 technologies. Any phase-in requirements would be at
25 normal turnover rates, and the overall requirements would

1 be structured so as not to impact service frequency routes
2 or fares.

3 To address concerns from the natural gas and
4 transit industry that were articulated at last month's
5 Board meeting, staff is increasing its engagement with
6 stakeholders. We are forming a transit work group and
7 plan to hold additional technology and regulatory proposal
8 workshops. We expect the work group and workshops will
9 explore the economics and business case for various forms
10 of cleaner buses, as well as funding and incentives. We
11 plan to return to the Board to brief you on our progress
12 in early 2016.

13 Now, I will shift the focus to the purpose of
14 this presentation, namely the report on the technology
15 assessments for hybrid, battery electric, and fuel cell
16 electric medium- and heavy-duty vehicles.

17 --o0o--

18 AIR POLLUTION SPECIALIST BEKKEN: The first
19 technology assessment to be discussed in depth today is
20 for medium- and heavy-duty hybrid vehicles.

21 --o0o--

22 AIR POLLUTION SPECIALIST BEKKEN: A hybrid
23 vehicle is a vehicle that uses two distinct power sources
24 to move the vehicle, an internal combustion engine and an
25 alternative power source, such as an electric or hydraulic

1 motor. Most hybrid vehicles currently are hybrid
2 electric, but hydraulic hybrids are making inroads.

3 Hybrids come in various degrees of hybridization
4 ranging from micro hybrids, which can increase fuel
5 economy up to 10 percent to full and plug-in hybrids,
6 which have an all-electric range and which can improve
7 fuel economy by more than 50 percent. All hybrids offer
8 start-stop technology and regenerative braking.

9 --o0o--

10 AIR POLLUTION SPECIALIST BEKKEN: The optimal
11 duty cycle for hybrid vehicles includes lots of start and
12 stop operation, aggressive acceleration and deceleration
13 events, and significant idle time. This duty cycle is
14 typically seen in refuse haulers, transit buses, and
15 package and delivery trucks. Hybridization can also be
16 ideal for vehicles with electric power take-off.

17 In such vehicles, the hybrid system enables the
18 internal combustion engine to be shut off, and electric
19 power provided from the energy storage system for uses
20 such as utility, bucket, and tree trimming services.

21 --o0o--

22 AIR POLLUTION SPECIALIST BEKKEN: Hybrids are
23 commercially available. There are over 2,500 hybrids on
24 the road in California in application such as parcel
25 delivery, uniform and linen delivery, beverage delivery,

1 transit, shuttle, and school buses, and food distribution
2 and refuse trucks. These vehicles tend to operate in or
3 near the optimal hybrid vehicle duty cycle. There are
4 also ongoing demonstrations for utility and budget truck
5 applications, as well as drayage applications for goods
6 movement from the ports.

7 Many more hybrids are in use overseas primarily
8 in China, South America, Europe and India. Currently,
9 there are about 12,000 medium- and heavy-duty hybrid
10 vehicles in the United States, including the 2,500 here in
11 California.

12 --o0o--

13 AIR POLLUTION SPECIALIST BEKKEN: In the future,
14 staff expects that hybrid vehicles will see increased use
15 in class 3 through 8 rural, intra-city, and regional
16 delivery. Plug-in hybrid use for utility and bucket truck
17 and drayage applications is also expected to increase.
18 Finally, line-haul trucks may adopt mild hybridization as
19 a response to tighter fuel economy and greenhouse gas
20 standards.

21 The proposed phase 2 greenhouse gas standards for
22 medium- and heavy-duty trucks expected in 2021 and beyond,
23 may push faster adoption of hybrid technologies because
24 hybrid vehicles have a fuel economy benefit. Higher
25 diesel fuel prices in the future could also spur market

1 demand for hybrids.

2 --o0o--

3 AIR POLLUTION SPECIALIST BEKKEN: There remain a
4 number of challenges to full market acceptance of hybrid
5 vehicles. First, the vehicles still cost somewhat more
6 than a comparable conventionally fueled vehicle. Part of
7 this cost is offset by operation and maintenance savings
8 and would decline with increasing volumes. It's worth
9 pointing out that all the advanced technologies discussed
10 today face the issue of relatively high incremental costs
11 compared to conventional technologies, at least while
12 initial volumes remain low.

13 Advanced technologies are made by a disaggregate
14 diffuse industry and are currently produced in low
15 volumes, so they cannot take advantage of the economies of
16 scale available for conventional technologies.

17 However, as demand for these vehicles increases,
18 greater production volumes will begin to lower prices.
19 Incentives, such as vouchers, under the HVIP program, can
20 be offered to help offset these costs.

21 Second, for high power demand applications, the
22 performance of the energy storage system may not yet be
23 sufficient. Reaching performance goals for these high
24 demand applications will require battery improvements and
25 system optimization.

1 Third, the heavier-duty hybrid vehicles currently
2 face a weight penalty, potentially up to 4,500 pounds.
3 This can be addressed by light weighting and by selecting
4 routes where the weight penalty for acceptable performance
5 is small.

6 Fourth, there are remaining issues with
7 certification, OBD and NOx emissions, which will need to
8 be addressed through improved engineering designs and
9 system integration. ARB's innovative technologies
10 regulation, currently scheduled for Board consideration
11 next year, is intended to help ease certification for
12 advanced technologies, including hybrids.

13 --o0o--

14 AIR POLLUTION SPECIALIST BEKKEN: This slide of a
15 case study for a hybrid beverage delivery truck shows that
16 the operating and maintenance cost savings are expected to
17 be fully offset from the increased purchase price in five
18 years, assuming no incentive funds are available. This is
19 shown as the light green line; and when packaged with
20 incentives, this can be reduced to as little as two years,
21 as shown with the light blue line.

22 Although, the payback periods shown in this slide
23 are specific for this fleet, add not true for every fleet,
24 this slide nevertheless demonstrates that despite the
25 higher initial cost, the purchase of hybrid vehicles may

1 still make economic sense if complete life-cycle costs and
2 savings are considered.

3 --o0o--

4 AIR POLLUTION SPECIALIST BEKKEN: The second
5 technology assessment to be presented today is for medium-
6 and heavy-duty battery electric vehicles.

7 --o0o--

8 AIR POLLUTION SPECIALIST BEKKEN: A battery
9 electric vehicle is a vehicle that uses batteries as the
10 sole source of power for vehicle movement and vehicle
11 auxiliaries, such as heat and air. BEVs use an electric
12 motor instead of an engine and a battery pack instead of a
13 fuel tank. BEVs have zero tailpipe emissions,
14 regenerative braking, reduced petroleum consumption,
15 excellent fuel efficiency, in terms of diesel gallon
16 equivalents used, reduced operation and maintenance costs,
17 and smooth quiet acceleration.

18 In addition, because a variety of approaches can
19 be taken to generate the power that's used to recharge the
20 batteries, the use of BEVs ultimately increases fuel
21 flexibility.

22 --o0o--

23 AIR POLLUTION SPECIALIST BEKKEN: The optimal
24 duty cycle for BEVs is similar to that for hybrids. The
25 main difference is that in addition to the start/stop and

1 idling characteristics desirable for hybrids, routes for
2 BEVs currently must have a daily range of no more than
3 about 100 miles, though fast charge technology can extend
4 this range substantially. This duty cycle makes BEVs
5 particularly suitable for buses, delivery trucks, drayage
6 and refuse vehicles.

7 --o0o--

8 AIR POLLUTION SPECIALIST BEKKEN: There are
9 hundreds of medium- and heavy-duty BEVs on the road in
10 California, primarily transit buses and medium-duty
11 vehicles like delivery trucks. BEV transit buses are
12 commercially available from several companies. Worldwide
13 there are over 2,500 battery electric transit buses,
14 mostly in China.

15 BEV school buses have limited commercial
16 availability with one manufacturer offering new buses for
17 sale. Currently, there are four electric school buses
18 carrying students in California, and three more new buses
19 are on order, as well as six repowers that offer vehicle
20 to grid power.

21 Medium-duty BEVs are also in limited commercial
22 availability with over 300 on California's roads.
23 Heavy-duty truck BEVs are generally a more challenging
24 opportunity due to vehicle weight, payload demands, and
25 other issues. Nonetheless, there are currently three

1 heavy-duty BEVs being demonstrated, including two drayage
2 trucks at the Ports of Los Angeles and Long Beach, and one
3 refuse truck. The Energy Commission recently approved
4 funding to demonstrate two BEV refuse trucks in Sacramento
5 County. Another dozen or so class 8 BEV trucks are under
6 construction and will be deployed to California for
7 demonstrations.

8 --o0o--

9 AIR POLLUTION SPECIALIST BEKKEN: The challenges
10 to market acceptance of medium- and heavy-duty BEVs
11 include range, cost, weight, and charging infrastructure.
12 Range can be increased with improvements in battery
13 chemistry or effectively increased through approaches such
14 as fast charge technology. BEVs will likely remain more
15 of a challenge for long distance heavy-duty applications,
16 such as line haul trucks.

17 The cost of BEVs is currently driven by the cost
18 of batteries. Costs should decline with improvements in
19 battery chemistry and economies of scale with increasing
20 volumes. As this graph shows, the cost for a 40-foot
21 battery electric transit bus has been declining quickly
22 since 2010 when the first commercial models were released,
23 dropping from around \$1.2 million to around \$750,000
24 today. Even at current cost levels, much of the increased
25 purchase cost is offset by operation and maintenance

1 savings and incentives help as well.

2 The increased weight from the battery pack can
3 affect payload. Weight can be reduced through battery
4 improvement and light weighting. In addition, fast
5 charging for vehicles that frequently return to base
6 allows a reduction in the size and therefore the weight of
7 the battery pack.

8 Lastly, charging infrastructure must be
9 addressed. Even with a slow charge -- even a slow charge
10 system requires high amperage power to be delivered to the
11 desired charging location, which incurs site-specific
12 costs that may be substantial. Standardization of vehicle
13 charging, as has been largely accomplished in the
14 light-duty sector, will increase accessibility.
15 Incentives should be made available to help fund the
16 charging infrastructure.

17 --o0o--

18 AIR POLLUTION SPECIALIST BEKKEN: The last
19 technology I'll discuss today is heavy-duty fuel cell
20 electric vehicles.

21 --o0o--

22 AIR POLLUTION SPECIALIST BEKKEN: A fuel cell
23 electric vehicle is an electric vehicle that uses a fuel
24 cell to provide power for the electric motor. The fuel
25 cell generates electricity to propel the vehicle and to

1 operate auxiliary equipment. This technology generally
2 requires the same components as a battery electric
3 vehicle, but with the addition of a fuel cell stack and
4 hydrogen storage tanks. Fuel cell electric vehicles
5 generally also contain batteries to help with short-term
6 power demands and to accept regenerated energy. The fuel
7 cell vehicle can be fuel cell dominant where the battery
8 system is small, or battery dominant, where the fuel cell
9 may act largely as a range extender.

10 Fuel cell electric vehicles have zero tailpipe
11 emissions, regenerative braking, high fuel efficiency,
12 good range and performance, and a quiet operation with
13 smooth acceleration. They have a refueling time similar
14 to conventional vehicles.

15 --o0o--

16 AIR POLLUTION SPECIALIST BEKKEN: There are
17 dozens of medium- and heavy-duty fuel cell electric
18 vehicles on the road. Most of these are currently transit
19 buses, which were one of the first mobile source
20 demonstrations of fuel cell technology. Fuel cell
21 electric transit buses can be ordered from two
22 manufacturers, but have not completed the Altoona testing
23 required to access federal transit administration funds,
24 which can cover a significant portion of the purchase
25 price of a new transit bus.

1 In the interim, there are currently about 45
2 active and planned demonstrations in the United States.
3 Other fuel cell applications are still in demonstration
4 stages. UPS and FedEx are participating in large
5 demonstration projects for delivery vehicles.

6 --o0o--

7 AIR POLLUTION SPECIALIST BEKKEN: Fuel cells
8 solve the range issues that battery electric vehicles
9 currently have, and they have good reliability overall.
10 However, additional maintenance staff training is needed
11 to increase familiarity with the service needs that may
12 arise with the vehicles.

13 Second, vehicle availability is slightly lower
14 than diesel, because there is not an established parts
15 inventory, so extended downtimes may occur while waiting
16 for parts. As familiarity with the technology grows and
17 parts become more readily available, this issue should be
18 resolved. Cost is an issue with fuel cell electric
19 transit buses currently costing over a million dollars,
20 more than double a conventional bus, but this cost will
21 decline with increasing volumes. The fueling
22 infrastructure remains a significant challenge. Hydrogen
23 fueling infrastructure needs are discussed further on the
24 next slide.

25 --o0o--

1 AIR POLLUTION SPECIALIST BEKKEN: Extensive work
2 has been done to plan and fund the light-duty hydrogen
3 fueling infrastructure. ARB has developed sophisticated
4 tracking and modeling tools to project station needs. And
5 the Energy Commission has been providing \$20 million per
6 year in station funding.

7 As of November 2015, California had 13 open
8 hydrogen stations mostly located at existing gasoline
9 stations. By the end of 2016, 51 stations are expected to
10 be operational. However, the light-duty stations
11 generally cannot be used by medium- and heavy-duty
12 vehicles, because the light-duty vehicles are fueled at
13 too high a pressure, and because of physical constraints.
14 There are three hydrogen fueling stations in California
15 for transit vehicles, but they are not accessible to other
16 heavy-duty vehicles. Siting a hydrogen fueling station is
17 it costly. Incentives will be needed to offset some of
18 this cost.

19 As heavy-duty fuel cell electric vehicles move
20 toward commercialization, a similar effort will be needed
21 for medium- and heavy-duty hydrogen fueling infrastructure
22 as has been taken for the light-duty fueling
23 infrastructure. Staff will work with stakeholders to
24 identify the necessary steps to ensure heavy-duty hydrogen
25 infrastructure needs are met as the technology continues

1 towards commercialization.

2 --o0o--

3 AIR POLLUTION SPECIALIST BEKKEN: While we
4 anticipate a continued need for clean combustion
5 technologies moving forward, the growing use of clean
6 advanced technologies will remain a key component to
7 meeting California's greenhouse gas and air quality goals.

8 --o0o--

9 AIR POLLUTION SPECIALIST BEKKEN: The three
10 advanced technologies discussed today provide critical
11 emissions benefits for both greenhouse gases and criteria
12 pollutants. In fact, BEVs and fuel cell electric vehicles
13 both have zero tailpipe emissions. Well-to-wheel
14 emissions for BEVs depend on the power plant mix, since
15 most use power from the grid. Recent analyses by the
16 Union of Concerned Scientists conclude that life cycle
17 emissions for BEVs, which include emissions from the raw
18 materials to make the vehicle through manufacturing,
19 driving, and disposal of recycling, are less than
20 comparable emissions from conventional vehicles, even for
21 parts of the country with a much dirtier power grid than
22 California.

23 As part of its fuels assessment, staff is
24 determining total well-to-wheel emissions for a variety of
25 technologies. Preliminary results indicate that

1 substantial well-to-wheel GHG emission reductions can be
2 gained from all three advanced technologies when compared
3 to conventional vehicles.

4 --o0o--

5 AIR POLLUTION SPECIALIST BEKKEN: There are a
6 variety of operation and maintenance costs and savings
7 associated with the advanced technologies, such as reduced
8 brake wear from regenerative braking and reduced fuel use
9 associated with increased efficiency. These savings allow
10 the increased incremental costs of advanced technologies
11 to be paid back over time. As incremental costs decline
12 and as the incentives are leveraged to address higher
13 capital costs, payback periods also decline.

14 Current incremental costs associated with hybrid
15 technology can be paid back in as little as three years
16 for some vehicle types and costs. For medium-duty BEVs in
17 some applications, payback of the incremental cost can be
18 achieved in as little as four years. For BEV transit
19 buses, the payback period is longer but can be offset
20 federal transit funding as well.

21 It is expected that fuel cell electric vehicles
22 would also provide operation and maintenance savings.
23 However, there is not yet sufficient data available from
24 fuel cell electric vehicles to quantify these savings nor
25 to determine a payback period.

1 --o0o--

2 AIR POLLUTION SPECIALIST BEKKEN: We intend to
3 pursue a number of comprehensive strategies to expand the
4 use of advanced technologies. Our planning efforts
5 highlight the need for a diverse technology portfolio,
6 which will include clean combustion technologies, zero
7 emission technologies, and the use of renewable fuels.
8 Public investments are being made to support technology
9 development and deployment with incentives available for
10 both clean combustion and zero emission technologies.
11 These incentives target multiple applications, where
12 demonstration project funding is intended to broaden the
13 field of suitable applications.

14 ARB should further spur the use of these
15 technologies by developing and adopting regulations that
16 promote their use. There are a number of proposals that
17 staff intends to bring to the Board in the next few years
18 that will encourage clean medium- and heavy-duty advanced
19 technologies.

20 --o0o--

21 AIR POLLUTION SPECIALIST BEKKEN: These measures
22 include the Innovative Technologies Regulation, intended
23 to address certification an OBD challenges for hybrid
24 vehicles, the advanced clean transit regulation to promote
25 zero and near zero transit fleets, the California

1 heavy-duty phase 2 greenhouse gas requirements, which will
2 be considered in the 2016 to 2017 time frame, a proposal
3 for last mile delivery vehicles anticipated for 2017, and
4 an airport shuttle bus measure expected by the end of
5 2018.

6 --o0o--

7 AIR POLLUTION SPECIALIST BEKKEN: Moving forward,
8 staff will continue to work with stakeholders on ARB
9 planning and measure development for both near- and
10 long-term scenarios using both clean combustion and zero
11 emission approaches. The technology assessments,
12 including the three I discussed in detail today are
13 available as drafts, and we are accepting comments from
14 interested stakeholders.

15 The technology information in these assessments
16 will continue to support the development of ARB's mobile
17 source strategy.

18 There are two main take-away messages I would
19 like to leave you with. The three advanced technologies
20 we've discussed today are out there, demonstrated, and in
21 many cases commercially available. And while these
22 technologies do have challenges, there are solutions.

23 Thank you. I'd be pleased to answer any
24 questions you have at this time.

25 CHAIR NICHOLS: I just want to clarify the

1 context in which we're having this discussion, because as
2 I mentioned at the beginning, we put this report on the
3 agenda actually in response to a request from our absent
4 Board Member Dan Sperling, who wanted the Board to get an
5 update on how things were going with these various
6 technologies. And it is important that we're hear from
7 the staff about your assessment of the technologies, and
8 where they are, and what they can do. That's kind of the
9 baseline.

10 But there's always a policy context here, because
11 obviously we're a government agency and we exist for the
12 purpose of doing things to make the air better and the
13 climate better. And I think, although I see on the
14 witness list, most, if not all, of the people who are
15 going to be testifying are representing organizations that
16 either have or use some of these technologies and want to
17 encourage us to move forward, preferably with more funding
18 and other policies that will encourage much wider use of
19 these technologies.

20 But we also heard recently, and if I didn't say
21 this I know Supervisor Roberts would, from, you know, at
22 least one, and probably more than one, transit agency that
23 is very nervous that ARB is about to start requiring them
24 to purchase vehicles that they don't feel will meet their
25 needs.

1 And so I guess what I would like to hear from
2 staff is sort of how you see these two issues. I mean,
3 one, is sort of is the market ready for it? Is it really
4 there now? Do they really meet all the needs the people
5 have? And the other is, assuming that we're trying to
6 push the market in that direction, you know, how are we
7 going to do that in a way that doesn't just create
8 problems that, at the end of the day, will end up either
9 costing more money or otherwise giving these new
10 technologies that we think are very promising a bad name?

11 Who wants to answer that question?

12 (Laughter.)

13 CHAIR NICHOLS: Mr. White is designated for this
14 one.

15 (Laughter.)

16 MOBILE SOURCE CONTROL DIVISION CHIEF WHITE:

17 Well, with that -- yes. That was -- I mean
18 that's a very good question. And I think we certainly
19 heard loud and clear last month about the concerns that
20 transit agencies have. And as we've thought through the
21 concepts of how to move these forward. And certainly I
22 think we've been -- we've recognized for a very long time
23 that transit agencies, as we talk about new technologies,
24 really are an ideal place to start. In a lot of cases
25 whether we were talking about diesel risk reduction, low

1 NOx and other things, it's kind of where many of our
2 programs where the rubber hits the road.

3 But recognizing that, we understand that, you
4 know -- and it a lot of ways, they have somewhat different
5 priorities for us. Their priorities are to get buses out
6 on the road and to move people from point A to point B as
7 they have done effectively for a very long time, and so
8 we're sensitive to that.

9 And so we want to make sure that as we find that
10 right nexus between advanced technologies and their
11 operations and their priorities, we think there's a lot
12 synergies. And we've seen that with a number of agencies,
13 whether it's AC Transit and SunLine, if we're talking
14 about fuel cell buses, if we're talking about battery
15 electrics, with what Foothill Transit down in Southern
16 California has done.

17 What we want to make sure though is we understand
18 the concerns that the transit agencies have, and we fully
19 engage them, not just individually, but collectively as an
20 organization. And so based on the concerns that we heard
21 last month, as you heard, we are going to initiate a
22 number of additional steps as we develop that to make sure
23 that the proposal that we bring to you later next year is
24 balanced, is implementable on the transit agency side, and
25 most importantly is not going to impact both the level of

1 service that they provide, and the expansions that they
2 would like to do, and the costs to those who depend on
3 that transit service for their day-to-day activities.

4 CHAIR NICHOLS: Okay. Well, I think that's a
5 good beginning anyhow. Let's hear from the witnesses. We
6 have a list of up here, so people can read it for
7 themselves. And we'll start with Hannah Goldsmith.

8 MS. GOLDSMITH: Good morning, Chair Nichols and
9 members of the Board. My name is Hannah Goldsmith, and
10 I'm a project manager with California Electric
11 Transportation Coalition, or known as CalETC. Thank you
12 for the opportunity to comment on the draft technology
13 assessment for medium- and heavy-duty battery electric
14 trucks and buses.

15 CalETC is a nonprofit trade association promoting
16 economic growth, clean air, fuel diversity, and energy
17 independence, as well as combating climate change through
18 the use of electric transportation. We are committed to
19 the successful introduction and large scale deployment of
20 all forms of electric transportation. Our board of
21 directors is made up of the five largest utilities in
22 California. Our membership also includes major
23 automakers, manufacturers of zero emission trucks and
24 buses, and other industry leaders supporting
25 transportation electrification.

1 CalETC supports staff's draft technology
2 assessment. As this assessment shows, companies are
3 already investing in the goods and people movement
4 sectors. Medium- and heavy-duty battery electric vehicles
5 are available now. We do not have to wait 15 years, as
6 was previously suggested during the comment portion of the
7 last agenda item.

8 In addition, the support of the State outlined
9 clearly in this assessment, encourages continued and
10 growing private sector investment in medium- and
11 heavy-duty battery electric trucks and buses. Vehicles
12 using electricity as a fuel reduce criteria and GHG
13 pollutants by 75 to 90 percent. And these vehicles get
14 cleaner over time as more renewables are incorporated into
15 the grid.

16 Combustion engine vehicles will play an important
17 role for some time to come, but traditional combustion
18 engine vehicles deteriorate causing emissions to increase
19 over time. Battery electric vehicles only get cleaner as
20 the grid gets cleaner.

21 We also appreciate staff's recognition of the
22 vital role incentives will play in market success. The
23 level of market transformation necessary to accomplish the
24 air quality, climate change, and economic goals of this
25 State is unprecedented.

1 This administration and the Air Resources Board
2 have shown consistent leadership. As the Board is aware,
3 this State has stalled in its commitment to incentives for
4 low carbon transportation this year. We hope this
5 assessment will further help our efforts to un-stall the
6 State's investment in low carbon transportation,
7 especially as relating to zero emission goods and people
8 movement technologies.

9 Thank you.

10 CHAIR NICHOLS: Very good. Thank you.

11 Mr. Shimoda.

12 MR. SHIMODA: Good morning. Chris Shimoda,
13 California Trucking Association. And thank you Chair
14 Nichols for the opportunity to address you today on the
15 tech assessments.

16 So we're working to submit some more substantial
17 comments on the whole range of tech assessments, but I did
18 just want to share some very preliminary observations
19 today. And we'd largely like to echo the staff's
20 presentation regarding the very real market barriers to
21 entry for more or less all medium- and heavy-duty ZEV
22 technologies. Some of this was already covered in the
23 staff presentation, but the multiple issues that we've
24 identified just in our preliminary assessment are upfront
25 costs, largely inadequate performance to service all the

1 doubt cycles -- and that's even specific to the
2 medium-duty last mile delivery, which was largely been our
3 focus in our analysis, which is one of the more friendly
4 duty cycles for this technology.

5 The commercial limitations of existing ZEV
6 vendors to adequately build and service the vehicles on
7 the road; limited infrastructure, and also the cost to
8 upgrade existing infrastructure that exists. And then
9 also there's an unknown total cost of operation because
10 we're in such an early stage of development. So it's a
11 little bit difficult to adequately examine how these
12 technologies are going to integrate into business models.

13 And so overcoming these barriers, I think staff
14 has acknowledged, is a longer term project. This isn't
15 something that we're going to figure out in the next five
16 to 10 years. It's going to require a lot of both agency
17 and industry collaboration working through these barriers
18 to make sure that there is a successful program moving
19 forward. And as was mentioned by the previous speaker and
20 in the presentation, incentives are going to be a huge
21 key. Figuring out how we secure those incentives moving
22 into the future is going to be very important for the
23 development of the technology.

24 And also, as I think was alluded in the transit
25 presentation, having a strong technology development

1 process that includes all the major stakeholders, OEMs,
2 end-users, the agencies, utilities are obviously going to
3 play a strong role in this is going to be key. And we
4 look forward to working with your staff on creating a
5 workable framework in the coming years, so thank you.

6 CHAIR NICHOLS: Go ahead.

7 MR. WIRAATMADJA: Good morning, Chair Nichols and
8 members of the Board. My name is Vincent Wiraatmadja.
9 I'm here from Weideman Group on behalf of BYD Motors, Inc.
10 BYD Motors is a North American based headquarters in Los
11 Angeles, and manufacturers battery electric trucks, buses,
12 and also batteries. We have manufacturing facilities
13 located in Lancaster as well.

14 We're here to say that the technology is here,
15 it's mature, and it's ready for prime time. But as
16 pointed out by the previous speaker, it does need support,
17 and that's why BYD is so bullish on California. That's
18 why we chose to locate so many of our assets here. As a
19 battery manufacturer and an electric vehicle manufacturer,
20 BYD is uniquely vertically integrated. As a result, we're
21 able -- as a result of controlling the supply chain and
22 manufacturing and assembly and sales, we're able to drive
23 down the cost of our battery electric buses, and we are,
24 with the inclusion of incentives, close to hitting parity
25 with alternative fuel transit buses.

1 The technology has advanced in an incredibly
2 short amount of time. Our buses have a range of at least
3 155 miles and have 75 million vehicle miles traveled
4 across the world. We have 23 buses deployed within the
5 U.S., 3,000 globally, and 6,000 orders. Many of those
6 buses are located in California, and are used by
7 organizations like Stanford, the Antelope Valley Transit
8 Authority, LA Metro and Gardena Transit.

9 To help bridge that time as cost goes down, BYD
10 offers a variety of creative financing solutions to reduce
11 the upfront capital costs necessary to make the transit to
12 completely zero emission transit.

13 We offer leasing options for the most expensive
14 component, the battery, that reduce the upfront cost. In
15 addition, we also offer 12 year warranties on our
16 batteries as a standard part of any bus sale. This shifts
17 the liability of battery failing from the transit agency
18 back onto us. That's how confident we are in our
19 technology.

20 In conclusion, BEVs are here. We're ready to do
21 our part. We also manufacture electric trucks, so we're
22 ready to play our part in the Governor's freight strategy
23 plan.

24 And thank you for your support in all of this.

25 CHAIR NICHOLS: Thank you. BYD has made an

1 impressive investment in California.

2 Mr. Costantino.

3 MR. COSTANTINO: Good morning, Chairman, and
4 members of the Board. John Costantino on behalf of the
5 Southern California Public Power Authority. And we
6 pleased to see the draft reports come out, especially the
7 one on hybrid utility trucks, and the benefits they can
8 provide, both GHG, criteria pollutants, and something that
9 was acknowledged in the report, the fact that they're
10 quieter when they do the boom operations and when they're
11 sitting in neighborhoods for hours on end.

12 So short and sweet is that we support the
13 promotion of these technologies, and we actually think it,
14 Chairman, goes along with your policy objective that it
15 adds to the variety of options. And you wouldn't have to
16 have as many mandates directly for alternative fuels. So
17 we appreciate that and look forward to working with this.

18 MR. TUNNELL: Good morning, Chair and members of
19 the Board. My name is Mike Tunnell. I'm with the
20 American Trucking Association. And I appreciate you
21 having this item on the agenda. I would like to just echo
22 some of the comments of my colleague, Chris Shimoda of the
23 California Trucking Association. And also say, you know,
24 the question you asked, Chair Nichols, at the beginning, I
25 think, really succinctly summed up the questions we have

1 really is where do -- how do you go from where you're at
2 today on a more incentive based approach to something
3 that's beyond that with more widespread use?

4 And it's a lot of scary implications in some
5 ways. So I would just -- you know, looking at the tech
6 assessments I think they're a starting point in
7 identifying some of the issues that we've talked about in
8 moving this technology forward. And just to highlight a
9 few of our concerns is, you know, reliability I think of
10 the technology. When you go from a 10 truck
11 demonstration, you can -- you know, your reliability can
12 be -- have a little margin for error in backups and things
13 like that, than when you get into more widespread
14 development.

15 And infrastructure same types of issues, you
16 know, lining up limited infrastructure versus more
17 widespread infrastructure.

18 And then range with the trucks as well. If you
19 limit the range, you can get into issues of needing more
20 trucks, and having more trucks on the road. So, you know,
21 a whole number of issues that I think we'll all be getting
22 into. And it seems like the staff is very amenable to
23 discussing those.

24 And, you know, I'll just close on a nostalgic
25 moment I was having thinking about this issue was 20 years

1 ago we were in a much dingier Board room in the basement
2 of a building.

3 (Laughter.)

4 MR. TUNNELL: And the issues we were talking
5 about then was whether advanced battery technology would
6 be available to meet the State's ZEV mandate.

7 And, you know, flash forward to today, we're
8 talking about that very same issue. And my hope is that
9 we've learned from these past efforts and we'll, you know,
10 approach them appropriately, and not just repeat what we
11 did before. So thank you very much.

12 CHAIR NICHOLS: Thank you. I just came from the
13 L.A. auto show yesterday, where I saw an array of
14 incredibly hot electric vehicles. So I'm feeling pretty
15 good about where we are on that.

16 (Laughter.)

17 CHAIR NICHOLS: All right. Mr. Magavern.

18 MR. MAGAVERN: Good morning. Bill Magavern with
19 the Coalition for Clean Air.

20 And I appreciate the attention that the Board is
21 giving to this topic, because cleaning up really
22 transforming the fleet of medium- and heavy-duty vehicles
23 is essential for California to meet our air quality, as
24 well as our climate objectives.

25 And I thought the staff report was excellent.

1 And we agree with the approach that's outlined there
2 pursuing aggressively NOx reductions from clean combustion
3 combined with renewable fuels, because it's essential to
4 get to the ozone standard attainment in both the South
5 Coast and the San Joaquin Valley, that we reduce NOx
6 rapidly.

7 And then also to continue developing the zero
8 emission vehicle technologies with an eye towards
9 overcoming the challenges that were identified in the
10 report. And one thing that was talked about additionally
11 in the legislative report is the need for funding. And we
12 do have the unfinished business that Jen Gress identified
13 in the need to appropriate the 2015-16 money in the 40
14 percent category for the climate investments.

15 And I'm hoping actually that the Governor and the
16 Speaker and the Pro Tem could get together. I understand
17 they're all going to be in Paris soon, and maybe they
18 could actually work out a deal -- a plan for spending this
19 money that the legislature could adopt when it returns in
20 January, because it's already long overdue to budget that
21 money.

22 Also, in the area of fuel cell vehicles, which we
23 see as promising, particularly in the buses that are
24 already on the road and more are planned. We need to soon
25 get the hydrogen that's being used to fuel those vehicles

1 to be renewable hydrogen. So we hope that that will be an
2 area of focus also.

3 And we'll be talking more about some of these
4 issues next month in the context of the freight strategy.
5 So I promise to be back then and maybe bring some friends.

6 (Laughter.)

7 CHAIR NICHOLS: Thanks. Okay.

8 MR. LEACOCK: Good morning, Chair Nichols, Board
9 members and staff. My name is Kent Leacock. And I'm the
10 director of government relations for Proterra, a leading
11 U.S. manufacturer of zero emission battery electric buses
12 that are commercially operating in the U.S. right now with
13 over 60 buses on the road in such diverse places as
14 Kentucky, Massachusetts, South Carolina, Texas, and
15 Tennessee.

16 We are significantly reducing mobile source
17 emissions, and we'd like to thank the Board and ARB staff,
18 specifically Marijke Bekken, Yachun Chow, and Tony Brasil
19 for their extensive work on this draft heavy-duty
20 technology assessment.

21 The report helps provide key information to
22 implement policies and programs to accelerate the
23 deployment of Heavy-duty zero emission transportation
24 technologies. This will help implement the goals of AB
25 32, the Governor's ZEV Action Plan, and clean transit

1 rule, the Low Carbon Fuel Standard and the Governor's goal
2 to reduce petroleum usage by up to 50 percent in 2030.

3 Transit buses have consistently been able to be a
4 forerunner in advancing heavy-duty technology and
5 transferring lower emission technology throughout the
6 Heavy-duty sectors. There's an opportunity now to
7 accelerate electrification of the entire transit industry,
8 including goods movement in and around the ports and
9 congested goods movement throughout the corridor.

10 As an aside -- I know there was a mention of the
11 transit agencies. As an aside, if most of you know or
12 don't know where Porterville, it's a very small town
13 northeast of Bakersfield. They are going with
14 electrification of transit buses. And so I would argue
15 that if Porterville can find the way to afford transit
16 buses due to their lower total cost of ownership, then
17 everybody can.

18 By combining this performance, efficiency, and
19 design, our battery electric buses offer the lowest cost
20 per passenger mile with any transit technology. In
21 addition to the cost savings that I mentioned, the other
22 benefits for transit operators and their riders, our fast
23 charge technology offers immediate and lasting air
24 quality. And as BYD mentioned, range has -- is rapidly
25 losing itself as an issue. We've achieved 258 miles on a

1 test track and roughly 160 miles in the real world with
2 our long range battery electric bus.

3 You know, make no mistake, near zero emission is
4 not zero emission. And as has been mentioned over time,
5 with the renewable portfolio standard, our fuel source
6 will get cleaner and the other forms of fuel will not, as
7 engines degrade. I'd like to thank you for the
8 opportunity to provide these comments, and we look forward
9 to the continuing -- to work with the Board and the staff
10 to help accelerate the deployment of Heavy-duty battery
11 electric technology that help reduce mobile source
12 emissions.

13 Thank you.

14 CHAIR NICHOLS: Thanks, Mr. Leacock.

15 Chris Peeples.

16 MR. PEEPLES: Chair Nichols, members of the
17 Board, my name is Chris Peeples. I'm an elected at-large
18 director of the Alameda Contra Costa Transit District.
19 And this year I'm serving as its President. I was unable
20 to take this matter to the Board and get official
21 permission to speak, so I'm really speaking for myself. I
22 want to say a few things about our program and then talk a
23 little bit about what is zero emission and what is near
24 zero emission. And then refer to a couple of documents
25 I've given you about what's happening in the world.

1 Most of you know our program, most of you have
2 ridden on our buses. Pictures of our buses are on the
3 front of your report. We've been doing this for about 10
4 years. Our current fleet has been there for about five
5 years. It's got about a million and a half miles on it.
6 We've carried about five million people.

7 It works now, today. There are no range issues.
8 With the current tanks that we've got, we can do 200
9 miles. The earlier version went 400 miles, and we decided
10 that was too much, but adding additional range is not a
11 problem.

12 I would really urge you to continue a true zero
13 emission program. In our case, we make some of our
14 hydrogen from solar cells that we've covered all our
15 buildings with. PG&E wheels it to one of our yards, and
16 we put it into a proton electrolyzer. And so it's zero
17 emission well-to-wheel.

18 The rest of it comes from methane, some
19 biomethane, some petroleum methane. But in either case,
20 it's about 40 percent more efficient than if we burned it
21 in an ICE engine. And even more importantly, we use the
22 methane much earlier in the well-to-wheel cycle, so that
23 in terms of short-term criteria pollutant -- or short-term
24 GHG pollutants, it's much more controlled, because it's
25 used in a much more controlled fashion converted into

1 hydrogen, and it's much less diffuse. We're not loading
2 600 buses with individual load -- fuelings of methane,
3 which then leaks and goes all over the place. So that's
4 there. It's there now.

5 The two documents I've brought you, one is a
6 press release from Ballard saying that they've sold 600 --
7 or, I'm sorry, 300, P7 heavy-duty fuel cells for bus use
8 in China. That's not 30 years from now, that's now.

9 The second one is an EU report that the EU
10 program says that they're going to have between 300 and
11 600 fuel cell buses on the road in addition to what they
12 have now by 2020. That's not 30 years from now, that's
13 five years from now. I think that's realistic.

14 One more second. They also think that by 2020
15 fuel cell buses will cost the same as a hybrid diesel. I
16 don't think that's realistic, but the prices have come
17 down 85 percent since we bought our first fuel cell buses
18 some 10 years ago.

19 Thank you.

20 CHAIR NICHOLS: Thank you for taking the time.

21 BOARD MEMBER GIOIA: A couple question, madam
22 Chair.

23 CHAIR NICHOLS: Mr. Edgar.

24 BOARD MEMBER GIOIA: Madam Chair, can I have a
25 quick question?

1 CHAIR NICHOLS: Oh, sorry. Yes, go ahead.

2 BOARD MEMBER GIOIA: First, Chris, thanks for
3 coming up from the Bay Area.

4 MR. PEEPLES: And I came on the train.

5 BOARD MEMBER GIOIA: I know you took the train
6 like I did.

7 First let me say every time AC transit is out
8 there on this issue, we always acknowledge that you have
9 the largest fleet of hydrogen fuel cell buses in the
10 country, which is great, great leadership. I wanted you
11 to --

12 MR. PEEPLES: And we're trying to get grant money
13 for 10 more.

14 BOARD MEMBER GIOIA: Right. And I wanted just to
15 have you, as a representative of a very large bus agency,
16 to respond to the issue that came up at the last meeting
17 we had. You may have heard some reference. There was
18 some transit agencies that were concerned about the cost
19 of being forced to buy zero emission vehicles after a
20 particular date. Can you address it from the standpoint
21 of your experience of -- with AC Transit and your
22 knowledge of it?

23 MR. PEEPLES: Yes, it is a concern. You, the
24 CARB Board, the California Energy Commission the FTA,
25 Federal Transit Authority administration, and the federal

1 Department of Energy has been very generous in funding
2 both our infrastructure and our buses. And I don't -- I
3 have no concerns about performance when it comes to fuel
4 cell buses. They're still pretty expensive. We have put
5 together an order -- assuming everybody gets the grants
6 they want to get, we're hoping to put together an order of
7 30 buses to the largest bus manufacturer in America, who
8 is actually going to make and guarantee the buses, rather
9 than having an integrator do that. That will drop the
10 price substantially. It's still considerably more
11 expensive than a diesel bus or a CNG bus. So performance
12 is not an issue, but the funding is an issue --

13 BOARD MEMBER GIOIA: Right. I'm just -- just --
14 right, just the issue was raised generally about how we
15 think about requirements for transit agencies. And we
16 were hearing just concern about moving along or having
17 these very specific requirements of purchasing zero
18 emission vehicles after a particular date, but --

19 MR. PEEPLES: The concern is real. I don't think
20 it should discourage you from the requirements, but it
21 should make you even more -- even stronger in your
22 advocacy with the legislature and the Governor for
23 cap-and-trade funding or other funding to make up the
24 delta between the roughly \$700,000 that a hybrid diesel
25 costs and now hopefully one 1.1 to 1.2 million that a fuel

1 cell bus would cost or the -- roughly the same -- the
2 battery buses are about the same price as a hybrid diesel
3 but they've got a whole lot more infrastructure.

4 BOARD MEMBER GIOIA: Thank you. Thanks.

5 CHAIR NICHOLS: Thanks. Seeing no other
6 comments. Mr. Edgar.

7 MR. EDGAR: Chair Nichols, and Board members.
8 Sean Edgar. I'm the director of cleanfleets.net here in
9 Sacramento. And I only claim 16 years since the dingy
10 basement, so --

11 (Laughter.)

12 MR. EDGAR: -- thank you for changing the decor a
13 little bit.

14 CHAIR NICHOLS: It was dingy basement.

15 (Laughter.)

16 MR. EDGAR: It was a dingy basement.

17 Having had that wonderful experience with you
18 all, I promise today not to throw anybody under the truck
19 or the bus.

20 (Laughter.)

21 MR. EDGAR: And what I'll talk about is my own
22 frame of reference as it relates to sacrificing what I
23 think we might be headed down a road of sacrificing the
24 great in pursuit of the perfect. And I've seen that
25 happen a lot here over the last 16 years.

1 So I'll just reference a couple cases, not so
2 much to talk down any particular technology, but to talk
3 up what the waste and resources industry is doing.
4 Borrowing on my testimony from last December on this same
5 item, I'll touch upon a few of those items and then update
6 you since that time.

7 Our members operate in excess of 2,500 natural
8 gas vehicles throughout the State of California. It was
9 definitely a chicken and egg conversation 15 years ago
10 when natural gas technology was new. The good news is the
11 near zero engines are here today, and those engines are
12 making their way into commerce. Your Board is certifying
13 those engines. U.S. EPA is doing the same.

14 There remains no long-term solution to what is an
15 increased cost of that natural gas vehicle. So this --
16 some of the same high barriers that existed for several of
17 the technologies your Board reviewed still existed 15
18 years ago for natural. And a lot of those barriers have
19 been overcome.

20 So I'll just touch a little bit on what's here
21 and now, and what -- you know, I'm always for looking way
22 out into the future, but we presented your Board with a
23 plan to off -- I guess that's the best terminology I can
24 think of. There are about 7,000 diesel powered solid
25 waste collection vehicles running out around California

1 today. And we think with some sustained funding for a lot
2 of good reasons we can clip away at thousands of trucks a
3 year, as opposed to the hundreds of trucks a year under
4 existing resources.

5 So Chair Nichols asked the question about
6 legislative items, you have some direction from AB 118 on
7 what you can spend money on as it's appropriated by the
8 legislature and advanced in hybrid technologies and
9 natural gas technologies I think would be part of that.
10 The Energy Commission spends some of that money, about \$12
11 million a year of AB 118 money. And that's great for
12 doing hundreds of vehicles a year. And I think what we're
13 promoting is to do thousands of vehicles a year.

14 So in the time I have left, I'll just touch on
15 the near zero engines are here now, natural gas vehicles.
16 You get the trifecta with the waste and resources
17 industry, especially pipeline gas is good, renewable
18 natural gas is better. And I've laid out a strategy,
19 including Energy Commission projects that are underway for
20 that, so carbon negative fleets can roll out today.

21 And I guess the key thing is using the status
22 goes, hundreds of natural gas vehicles will go out. Using
23 new creative sources of funds, we can do thousands of
24 vehicles. So thank you for your time.

25 CHAIR NICHOLS: Thank you.

1 Mr. Barbose.

2 MR. BARBOSE: Good morning. I just wanted to
3 speak very briefly and make a couple quick points. One is
4 just to overall support ARB's approach here of moving
5 forward on multiple zero emission tailpipe emission
6 technologies. At the same time, recognizing their
7 importance to our climate, our oil, and our air quality
8 goals. And I really appreciate the work that went into
9 the report today in the presentation.

10 I think it's starting to paint a picture for
11 everyone of how the various technologies will move forward
12 in different applications at different speeds over the
13 coming decades. And that's really important for us all to
14 see how the pieces fit together.

15 So since the advanced clean transit, the bus
16 rule, came up, just thought I'd make one point on that,
17 which is we see the value of this rule really being
18 greater than the reductions that it will generate from the
19 bus sector, right, from reducing emissions from buses.
20 And sort of as was discussed today, you know, we need
21 advanced zero emission technologies in a whole range of
22 heavy-duty applications in coming years to reach our
23 climate and air quality goals.

24 And so this is really an important opportunity as
25 we see it to advance zero emissions in the short-term in a

1 way that creates these positive spill-overs to other
2 heavy-duty applications, so the technology is available
3 there when we need it down the road.

4 And so we look forward to working with the Board
5 and with staff in the coming year on the advanced clean
6 transit rule and other opportunities to advance zero
7 emission technologies.

8 Thanks

9 CHAIR NICHOLS: Thank you.

10 That concludes the list of witnesses.

11 Do any Board members have any questions at this
12 point?

13 Yes, Supervisor and then Ms. Mitchell.

14 BOARD MEMBER ROBERTS: First of all, in spite of
15 Dan not being here, I enjoyed this.

16 (Laughter.)

17 BOARD MEMBER ROBERTS: And I'm sure he would
18 have. And Erik, I like your closing comments about we're
19 going to find out what's going on. It seems to me that we
20 have the -- probably the potential to solve this in a way
21 that will be good -- a win-win for everybody.

22 Transit is our partner. Underscore that. And
23 some transit districts are different than others. I'm not
24 just what Porterville does, but I would guess they have
25 very little in common with what the bigger cities are

1 doing who are -- believe it or not, we're talking about
2 buses. A lot of the systems are electrified with rail
3 systems and other things going on. And we talk about
4 buses, buses in hills and other things aren't the same as
5 a test track.

6 We need to work -- unlike maybe hydrogen, and
7 even the car technologies in electricity, where the
8 infrastructure can be used over multiple brands, buses
9 can't be. You buy a bus, you buy the infrastructure. And
10 if you decide that's not the bus, you've got to go buy a
11 different bus with a different infrastructure, and the
12 infrastructure, not only is the bus more expensive, the
13 infrastructure is expensive.

14 And I think what we need is some really objective
15 study and work on this. The State with the money we have
16 for greenhouse gas has the capability of coming up and
17 looking at this in a very rational, scientific way and
18 figuring out where these things are appropriate and maybe
19 helping people and transit systems to get there.

20 And, you know, what I think the fear I have is
21 that we just say go do it, here's how many you've got to
22 buy type of approach, when we have asked people, okay, we
23 want you to clean up your act. And I'll tell you this,
24 I've been in public transit for now almost 30 years. We
25 have -- we will shortly have 100 percent CNG buses. I

1 know what those cost. I know what the operational expense
2 is. I know how we keep our drivers moving. It's not just
3 the bus and it's the charging, you've got to keep them
4 moving. That's your operational expense. If you have to
5 sit and charge up, you've got an issue. And I know there
6 may be solutions coming, and people are working on the
7 technologies for dynamic charging, but they're not there
8 yet. And when they're going to be there, I don't know.

9 I sat through hearings years ago we were told
10 that the advanced batteries were going to be here years
11 and years and years ago at a level. They're still not.
12 So we really -- I think we need to get a handle on this,
13 but I think your willingness to go and talk to the
14 agencies and work with the agencies and find out which
15 agencies these might work, and what the contexts are, I
16 think will help us.

17 But I think we're in a position to maybe be able
18 to develop information that could be of use to agencies in
19 making these financial decisions. The last thing I want
20 to see is service reductions because we're putting more
21 money into operations and equipment. And you're seeing,
22 you know, among advocates, I think a very distorted
23 picture of what the true costs are in this type of
24 program.

25 I want to know what the real costs are when I

1 make those decisions. We've done a good job complying
2 with cleaning up the air. We've moved a lot of people,
3 and we're moving a lot of people around that might
4 otherwise be driving non-electric vehicles. There are a
5 few left. And if we can put them into transit, so be it.
6 And, you know, zero is nice, but we can get a lot done
7 maybe without being completely zero.

8 CHAIR NICHOLS: Thanks.

9 Ms. Mitchell.

10 BOARD MEMBER MITCHELL: Thank you. And
11 getting -- it went off again -- moving from transit to
12 freight movement in the heavy-duty trucks, I heard
13 yesterday -- I was also at the auto show, and I heard
14 yesterday from one of the persons in our meeting that one
15 of the terminals at the port is interested in buying 60
16 electric vehicles or clean vehicles, and they're not
17 available right now in that category, in the drayage
18 category.

19 So I'm a bit alarmed when I hear it's going to
20 take us five to ten years to move in that direction. I
21 hope we can do it sooner, but I also recognize the
22 policies issue that we face, which is balancing the
23 economy with the need for public health and to move to
24 cleaner air. And we've gone through a lot of battles with
25 our trucking stakeholders, and -- but it seems to me there

1 is a way to transition. As that technology becomes more
2 available and as truck fleets are seeking replacement,
3 that we urge them to get the newest and the best.

4 I also think it's probably a mistake to require a
5 choice among the technologies. I think we should look at
6 the performance of each of those technologies and allow
7 the market to develop in the way that best suits the
8 stakeholders and the economy, so -- but I'm so encouraged
9 with where we are today, and I wasn't here when we were in
10 the dingy basement --

11 (Laughter.)

12 BOARD MEMBER MITCHELL: -- but I --

13 CHAIR NICHOLS: You didn't miss much. Well, I
14 don't know. We had some good times.

15 (Laughter.)

16 BOARD MEMBER MITCHELL: But we're certainly
17 moving forward. And I think everybody sitting here would
18 not have believed five years ago that we would be where we
19 are today. So I'm very encouraged by where we're going,
20 and what we've accomplished.

21 Thank you.

22 CHAIR NICHOLS: Thanks.

23 Mr. De La Torre.

24 BOARD MEMBER DE LA TORRE: It's great that we're
25 promoting getting these vehicles out. And obviously,

1 we're not going to have wholesale swapping out of fleets.
2 It's going to happen gradually as we introduce these
3 vehicles into the various transit districts.

4 My main concern with transit agencies getting the
5 latest and best is that they put those vehicles in the
6 fanciest places in their districts. I've seen this in my
7 region in Southern California. And the whole point of
8 everything we're doing, whether it's the GGRF with our
9 mandate to mitigate pollution is to target the areas that
10 are most impacted.

11 And so the whole point, if we're going to be
12 putting money into this, and be supportive of it, is to
13 get these newer cleaner vehicles into those communities
14 that most need them for air quality reasons, not the fancy
15 places where you're going to get political support or
16 you're going to take care of, you know, the nicer
17 neighborhoods in your region.

18 The whole point is that we have to get these as
19 we're bringing them on line into the lower income polluted
20 communities because they need it more.

21 And so I want to make that point, that as we move
22 forward on this, to me, this is part of the 25 percent.
23 This is part of the mandate that we have that we have to
24 put these vehicles in those communities first, and not in
25 the beach communities, et cetera, et cetera, as I've seen

1 in Southern California.

2 Thank you.

3 CHAIR NICHOLS: Dr. Balmes.

4 BOARD MEMBER BALMES: Just a short addendum to
5 that. I think those communities also use public transit
6 more, so that's another reason why they should have these
7 vehicles.

8 BOARD MEMBER GIOIA: Madam Chair.

9 CHAIR NICHOLS: Yes, Mr. Gioia.

10 BOARD MEMBER GIOIA: So let me just say a couple
11 comments. One is I agree with Hector's comment. Although
12 let me note in the AC Transit service area, I've seen them
13 across the board in all communities. So it seems that
14 maybe some agencies are better than others, so I want to
15 make sure --

16 (Laughter.)

17 BOARD MEMBER GIOIA: -- that we're not --

18 CHAIR NICHOLS: Give a plug to AC.

19 BOARD MEMBER GIOIA: -- we're not casting a broad
20 brush on all, because I want to acknowledge I've seen the
21 fuel cell electric buses in disadvantaged, lower income
22 communities in the East Bay to their credit. So that
23 education needs to occur in those districts you're talking
24 about, Hector.

25 But just to note, always a useful presentation.

1 And I mean it focuses a lot on technology and -- however,
2 to me, it's always important to continue to raise the -- I
3 know it's not technically part of this discussion, the
4 education effort that needs to go on to the public, and
5 specifically also with dealers on informing potential
6 purchasers about the advantages of these low emission --
7 or zero emission vehicles. Even with the best technology,
8 right? We still have a gap at the point sale at least
9 for -- on the -- on more of the light-duty vehicles. And
10 I know we're addressing in a different context, but I want
11 to continue to highlight that, because I think we need to
12 search for ways to be more vigorous and more aggressive
13 about getting that point of sale to be a more effective --
14 a more effective approach to getting would-be buyers to
15 actually go through and purchase the vehicles. Again, we
16 just don't have the mechanisms in place.

17 So I'd like for us to think about that and to be
18 more aggressive, and to see where, in our strategies, we
19 can develop some initiatives to be more successful there.

20 CHAIR NICHOLS: There was reference made earlier
21 to the Energy Commission's funding, which has been
22 directed to some of these clean fuel heavy duty types of
23 vehicles and getting infrastructure out there for them, as
24 well as to the ARB's way to limited funding. There's also
25 a very large amount of funding that goes to State

1 transportation agency and Caltrans that goes for buses,
2 including, for the first time, through the Greenhouse Gas
3 Reduction Fund the cap-and-trade money funding going to
4 local transit districts for operation and maintenance,
5 which has always been a great problem where there was
6 money for capital expenditures, but not to support the
7 actual programs.

8 So while it's still short of what's needed, there
9 is a much larger commitment at the State level than
10 there's ever been before to really making transit a viable
11 way of life and a viable alternative for commuters, people
12 living in cities, not just a service for low income
13 people. And we're seeing more interest in transit on the
14 part of all economic classes as cities get to be more
15 congested, driving and parking become more expensive. So
16 there's a lot of reasons why we should be promoting the
17 success of transit. There's also a lot of other
18 applications as we've heard just a little bit about some
19 of them in this report.

20 I think this has been very useful kind of laying
21 the groundwork in terms of the technology work that the
22 staff does and continues to do, it's very helpful that we
23 continue to keep our eye on developments that are
24 happening, because this is not a static field. There's a
25 huge amount going on that we've barely really touched the

1 surface of right now, new companies emerging.

2 And probably at least a big part of what's going
3 to drive that is our air quality demands, the regulations,
4 and now, I think increasingly we're seeing a global
5 interest in reducing greenhouse gas emissions, which is
6 going to free up, I believe, a large pool of private
7 sector investment that may move into some of these areas
8 as well.

9 So we have important responsibilities in this
10 area, but we are not alone. And I think one of the things
11 that is important for us to think about, and I was
12 thinking about this when Ms. Miller was making her
13 comment, is that we clearly are a factor, we send signals,
14 we -- you know, we deploy some resources, and we also have
15 some important regulatory power, but we need to make sure
16 that we're engaging all these other elements at the same
17 time.

18 And thinking as I think we are now really doing,
19 both immediate term, medium term and long term, because
20 we've got current problems. We've got things that we have
21 to be doing in the next few years as the world is changing
22 very quickly, and we've also got our 2030 goals. And I
23 think it is important that we keep all promising
24 technologies in our sites and keep evaluating them on a
25 regular basis.

1 You know, the comment about the dim dingy
2 basement, that was a long time ago. Things are moving
3 much faster than that now on every front. So I think we
4 will be hearing more of these kinds of updates. And
5 probably, you know, not just down a few years basis, but
6 really at least every year we're going to have to kind of
7 be coming back and assessing where things are.

8 With that, I think I'd like to turn to the next
9 item which is really a set of interlocking staff
10 presentations -- at least related staff presentations on
11 what the Board is up to.

12 The next item on the list is the public meeting
13 for a status report on the 2030 target scoping plan
14 update. And maybe just to kind of give some general
15 comments about all of this while the staff is changing
16 personnel and all of that, the passage of AB 32 in 2006,
17 which was not very long ago, but seems like we've been at
18 this for a long time now already, really was the first
19 time that any place in the United States had taken a
20 comprehensive approach to dealing with climate change.

21 We've known about climate change for decades.
22 We've had a focus on trying to get action on it maybe at
23 least for, you know, two decades or so, the scientific
24 community. And California really started working on this
25 a little less than ten years ago in a very serious way.

1 And now we're being joined by many others as well.

2 Our approach to implementing the goals of AB 32
3 has always been, and the legislation I think really
4 compels this, one of trying to make sure that we're both
5 improving the state of our environment and our natural
6 resources, and at the same time promoting California's
7 economic development, not just maintaining or protecting,
8 but actually enhancing the state of our economy, while
9 we're trying to meet all these other goals.

10 So the major thrust in doing this, of course, has
11 been promoting California as a place for clean energy,
12 looking at ways at which we can promote investments and
13 create jobs through clean energy policies targeting
14 advantages -- targeting the investments at disadvantaged
15 communities as well, so as to not only build support among
16 the public at large, but also to make sure that our
17 example that we're setting here is one that can be looked
18 at by others, where lifting their populations out of
19 poverty and helping people to begin to enjoy a kind of
20 standard of living that most of us take for granted is
21 something that's absolutely on the top of their agenda.

22 So we're kind of looking here now at a couple of
23 different chapters of all of this. But the first one I
24 think that we should be considering is the work that's
25 going on to do a new scoping plan this time addressed at

1 the 2030 goal that the Governor set forth in his January
2 2015 inaugural address, where he identified five key
3 climate strategy pillars. These have become known as the
4 pillars. I guess it's holding up a roof. I'm not quite
5 sure what the image actually conveys, but pillars sends
6 solid, sounds kind of classical, you know, Greek or Roman.
7 Anyway, we have pillars. And we are looking at these
8 pillars as a way to reach a very ambitious climate change
9 goal.

10 So the Governor followed up on his speech with an
11 executive order, order B30-15, which established the
12 greenhouse gas reduction target of 40 percent below 1990
13 levels by 2030.

14 Obviously, that's well beyond the target that we
15 have in our current scoping plan, which is getting to 2020
16 levels -- I mean, to 1990 levels by 2020. Sorry.

17 So this new 2030 target represents the most
18 aggressive benchmark that's as yet been enacted by anybody
19 in North America, but it is in line with what is clearly
20 necessary in order to stabilize climate levels of
21 greenhouse gases in a place where we could hope to avoid
22 the most harmful effects of global warming, which is to
23 keep us at a limit of below two degrees celsius of
24 increase, which is one that we're already quite
25 dangerously close to.

1 So in order to develop a plan of action and
2 building on work that ARB has already done, the Governor
3 called on the Air Resources Board to update our scoping
4 plan and to incorporate this new target and then layout
5 what the strategies would be what the State's priorities
6 would be for roughly the next 15 years and beyond.

7 This idea of a scoping plan has turned out to be,
8 I think, a very powerful one in allowing us to lay out for
9 everyone all stakeholders, interested parties to see on
10 the multiple objectives that we're trying to solve for it
11 at once, building on the principles that we are addressing
12 both sustainability as an economic matter and as an
13 environmental matter at the same time. And certainly, we
14 now can look at what we've done based on our initial
15 scoping plan and take a lot of pride in the success of
16 what we've done so far. But this new target presents some
17 very significant new challenges as well.

18 So I think I'm going to turn this over now to Mr.
19 Corey for an introduction and then the staff presentation.

20 EXECUTIVE OFFICER COREY: Very good. And as you
21 mentioned, Chair Nichols, today, we're presenting a series
22 of updates on California's climate change program moving
23 from the broad policy direction to be developed in the
24 scoping plan to the Cap-and-Trade Program. We'll also
25 provide a status report on California's plans to implement

1 the federal clean power plan. And finally, we'll present
2 an update on the adaptive management program, which is
3 designed to ensure that the Cap-and-Trade Program does not
4 result in disproportionate air quality impacts.

5 California's current climate change strategy is
6 designed to drive down statewide greenhouse gas emissions
7 and is helping to move us forward steadily in the
8 direction of a cleaner energy economy.

9 California is on track to meet the near term 2020
10 greenhouse gas limit and is well positioned to maintain
11 and continue reductions beyond 2020 as required by AB 32.
12 Collectively, these actions are evidence of California's
13 ability to show that it's possible to break the historical
14 connection between economic growth and associated
15 increases in energy demand, combustion of carbon intensive
16 resources, and pollution.

17 We've shown it's possible to break this chain by
18 relying on cleaner technologies, more efficiency, and more
19 renewable energy sources. We also know that preventing
20 the worst impacts of climate change will require continued
21 accelerated development and diffusion of these
22 technologies, not just in California, but across the
23 world.

24 The 2030 target scoping plan update will
25 ultimately present a suite of stable, flexible, yet

1 durable policies like those currently under AB 32 in order
2 to help ensure California meets its ambitious climate
3 change goals over the next 15 years and beyond.

4 The recommendations continued -- or rather
5 contained in the 2030 target scoping plan update will be
6 developed through a robust public process with input from
7 State and local agencies, community and environmental
8 justice organizations, industry representatives, the
9 legislature, and other interested stakeholders

10 I'll now ask Sara Nichols to provide an update on
11 our current progress on the development of the 2030 target
12 scoping plan.

13 Sara.

14 (Thereupon an overhead presentation was
15 presented as follows.)

16 AIR POLLUTION SPECIALIST NICHOLS: Thank you, Mr.
17 Corey. Good morning, Chair Nichols and members of the
18 Board. This presentation will focus on providing an
19 update on the process and schedule for developing the 2030
20 target update to the AB 32 climate change scoping plan.

21 --o0o--

22 AIR POLLUTION SPECIALIST NICHOLS: But before I
23 begin this presentation, I would like to provide some
24 context for today's Board hearing by providing an overview
25 of how this item and the next three items are related to

1 each other.

2 As you know, AB 32 scoping plan lays out the
3 larger vision for the State's near- and long-term strategy
4 for addressing and mitigating the impacts of climate
5 change. The next three items on today's agenda provide
6 specific details of distinct actions at the State and
7 federal level to address climate change.

8 Following this presentation on the 2030 target
9 scoping plan update, staff will present the annual update
10 on the California Cap-and-Trade Program. The economy-wide
11 Cap-and-Trade Program serves as the backstop to ensure the
12 State's emissions targets are achieved.

13 The next item is an update on California's
14 development of the compliance plan for addressing the U.S.
15 EPA's Clean Power Plan Rules for reducing CO₂ emissions
16 from new and existing power plants. This is the first
17 national effort to address greenhouse gas emissions from
18 large stationary sources.

19 Lastly, staff will present an update on the
20 cap-and-trade adaptive management plan, which is designed
21 to ensure there are no disproportionate air quality
22 impacts resulting from implementation of the Cap-and-Trade
23 Program.

24 --o0o--

25 AIR POLLUTION SPECIALIST NICHOLS: For this

1 presentation, I will begin by providing information on
2 California's overall climate strategy, including recent
3 executive orders and the Governor's climate pillars
4 framework. I will discuss the background requirements and
5 the goals of the Global Warming Solutions Act of 2006,
6 also referred to as AB 32. I will provide an overview of
7 the process for developing the 2030 target scoping plan
8 update, including progress to date, engagement with our
9 sister agencies, and how the scoping plan aligns and
10 interacts with existing State programs.

11 I will provide background on the advisory groups
12 to be consulted, as well as provide an overview of the
13 proposed approach to the economic analysis that will be a
14 key element of the scoping plan update.

15 Finally, I will share a tentative schedule for
16 regional workshops, technical working groups, as well as
17 future Board hearings for consideration of the draft and
18 final scoping plans.

19 --o0o--

20 AIR POLLUTION SPECIALIST NICHOLS: In April 2015,
21 Governor Brown signed Executive Order B-30-15 establishing
22 a new California GHG reduction target of 40 percent below
23 1990 levels by 2030. The pathway to achieve the 40
24 percent reduction target is based on five key climate
25 change strategy pillars that the Governor first identified

1 in his advertise January 2015 inaugural address, some of
2 which were included in recent legislation.

3 These pillars recognize that several major areas
4 of the State's economy will need to reduce their emissions
5 to meet California's ambitious goals. The five pillars
6 are: Reducing petroleum use in cars and trucks by up to
7 50 percent; increasing from one-third to 50 percent our
8 electricity derived from renewable sources; doubling the
9 efficiency savings achieved at existing buildings and
10 making heating fuels cleaner; reducing the release of
11 methane, black carbon, and other short-lived climate
12 pollutants; and, managing farm and rangelands, forests and
13 wetlands so that they can store carbon.

14 While these efforts will reduce the magnitude and
15 impact of climate change, they will not prevent it from
16 occurring. Many impacts, such as increased fires, floods,
17 severe storms and heat waves are occurring and will only
18 become more frequent. But there are many things that we
19 can do to protect against the impacts of climate change.
20 Therefore a sixth key element of the State's strategy
21 involves taking steps now to adapt to climate change to
22 protect public health and safety, our economy, and our
23 future.

24 --o0o--

25 AIR POLLUTION SPECIALIST NICHOLS: The primary

1 guiding principles of the State's climate change strategy
2 are to transform California to a clean energy economy with
3 focused efforts on several fronts, including reducing GHG
4 emissions through cost effective policies and programs
5 that promote clean energy industries and green jobs,
6 targeting clean energy investments and other efforts to
7 support disadvantaged communities and vulnerable
8 populations, providing consumers with more clean energy
9 choices, conserving precious natural resources,
10 highlighting the need to conserve water in light of the
11 ongoing drought, and preparing guidance for adapting to
12 climate change by linking adaptation and emission
13 mitigation efforts.

14 --o0o--

15 AIR POLLUTION SPECIALIST NICHOLS: The State's
16 climate change strategy is developed and implemented
17 through the scoping plan process and legislation. There
18 are numerous efforts planned and underway at various State
19 agencies to address climate change that stem from
20 legislative directives, the original AB 32 scoping plan,
21 and the subsequent 2014 update.

22 A snapshot of some of the major plans and
23 regulations that support GHG reductions is shown here.
24 These plans and regulations are being developed through an
25 integrated approach which is critical to ensure that we

1 meet our climate goals alongside other priorities, being
2 mindful of the need for a robust economy.

3 The plans and regulatory measures are drawing
4 from several fundamental building blocks to deliver
5 strategies with the most sustainable outcomes. These
6 include: Regional and international partnership
7 initiatives to expand emission reduction programs and to
8 enable effective adaptation; ongoing research to support
9 our understanding of the impacts of climate change in
10 California to inform policy making; incentive and grant
11 programs to identify opportunities to leverage existing
12 and new funds to further drive GHG emission reductions;
13 voluntary actions that allow companies to set targets at
14 their own pace and in their own way; regulations that
15 ensure the effectiveness of the State's approach in light
16 of the deep reductions that are needed to stabilize
17 climate change; and importantly, the critical role that
18 local governments play in reducing and mitigating climate
19 change.

20 All of these implementation activities are
21 committed to incorporating a robust public process, with
22 input from State and local agencies, community and
23 environmental justice organizations, and other interested
24 stakeholders.

25 --o0o--

1 AIR POLLUTION SPECIALIST NICHOLS: In 2006, the
2 legislature passed AB 32, which provided guidance and
3 direction for addressing climate change. In addition to
4 reducing emissions, the objectives of AB 32 are to develop
5 a balanced approach to addressing climate change that
6 improves air quality and public health, while also
7 providing a consistent policy approach to drive investment
8 in clean technology.

9 The suite of policies developed under AB 32 has
10 been designed to provide a model for future national and
11 international climate change efforts. AB 22 provides
12 long-term authority to reduce greenhouse gases. In order
13 to continue progress towards meeting the 2020 goal, and
14 maintain and continue reductions passed 2020, a primary
15 objective of AB 32 is to continue to coordinate efforts
16 across State government agencies to ensure effective and
17 synergistic policy approaches.

18 --o0o--

19 AIR POLLUTION SPECIALIST NICHOLS: AB 32 required
20 ARB to develop and approve a scoping plan that describes
21 the State's strategy for achieving the 2020 emission
22 reduction goal and update the scoping plan at least once
23 every five years. To date, ARB has prepared one update to
24 the original scoping plan, which was first approved by the
25 Board in 2008.

1 The original 2008 scoping plan presented the
2 first economy-wide approach to reducing emissions, and
3 highlighted the value of combining both carbon pricing
4 with other complementary command and control programs to
5 achieve the most cost effective emission reduction
6 strategy for the State.

7 The first update to the scoping plan approved in
8 2012 presented an update on the program and its progress
9 towards meeting the 2020 target, as well as develop the
10 first vision for the long-term progress that the State
11 endeavors to achieve. The first update laid the
12 groundwork to start the transition to post-2020 goals set
13 forth in Executive Orders S-3-05 and B-16-2012.

14 The first update also recommended the need for a
15 2030 mid-term target to establish a continuum of actions
16 to reduce emissions, not just for stated limits in 2020 or
17 2050, but also every year in between. Both the original
18 scoping plan and the first update were accompanied by a
19 robust public process to ensure active participation in
20 plan development by stakeholders, the public, and other
21 interested community groups.

22 And so with this context, we turn to updating the
23 scoping plan to incorporate the State's new 2030 mid-term
24 GHG target.

25 --o0o--

1 AIR POLLUTION SPECIALIST NICHOLS: As previously
2 mentioned, Governor Brown signed Executive Order B-30-15
3 establishing a new California GHG reduction target of 40
4 percent below 1990 levels by 2030. This interim target
5 will ensure that California is on the path to meet its
6 target of reducing emissions to 80 percent below 1990
7 levels by 2050.

8 This Executive Order calls on ARB to update the
9 scoping plan to incorporate this new target, and calls
10 upon the State to update the climate adaptation strategy.
11 Finally, the Executive Order also calls on all State
12 agencies to factor climate change into their future
13 planning and investment decisions.

14 --o0o--

15 AIR POLLUTION SPECIALIST NICHOLS: Similar to
16 previous efforts, the 2030 target scoping plan update will
17 be developed in an open and transparent manner involving
18 coordination with State agencies, engagement with the
19 legislature, and the opportunity for stakeholders and the
20 public in general to engage in the process through
21 workshops and other meetings. ARB will prepare and
22 present an environmental analysis, as required under the
23 California Environmental Quality Act, as well as a public
24 health analysis.

25 We will also be availing ourselves of the review,

1 insights, and advice of two advisory groups, which we will
2 discuss later in this presentation. I also want to
3 emphasize that the 2030 target scoping plan update will be
4 coordinated closely with other State agency plans,
5 including the clean power plan, the cap-and-trade
6 regulation, the State implementation plan, the sustainable
7 freight strategy, and the short-lived climate pollutant
8 reduction plan among others.

9 The relationship around these efforts highlights
10 the integrated process the updated scoping plan will take
11 to achieve the 2030 emission reduction target.

12 --o0o--

13 AIR POLLUTION SPECIALIST NICHOLS: The following
14 graph shows potential pathways for setting the 2030
15 emission reduction target as set forth by the Governor's
16 Executive Order and for achieving the State's long-term
17 goals for 2050.

18 On the left side of the graph, we see
19 California's actual emissions for the years 2000 through
20 2013 based on ARB's emission inventory. As you can see,
21 the emissions oscillate up and down slightly over this
22 period. Moving right, we see the emissions begin to trend
23 toward the State's 2020 emission reduction goal, which is
24 approximately 431 million metric tons of CO₂ equivalent.

25 From 2020 to 2050, we see two different lines

1 projecting towards the State's long-term goal of reaching
2 an 80 percent reduction in emissions below 1990 levels by
3 2050. The straight red line represents a linear path to
4 achieving this 2050 target. The dashed blue line shows a
5 constant percentage reduction in emissions rather than a
6 straight line reduction.

7 In 2030, we see the blue dashed line almost
8 intersects with the blue dot, which is approximately 260
9 million metric tons of CO₂ equivalent. This number
10 represents the 2030 emission reduction target announced by
11 our Governor earlier this year.

12 As you can see, achieving the 2030 goal is most
13 consistent with a constant percentage reduction pathway,
14 as opposed to a linear emission reduction pathway. This
15 also gives us an indication of the challenge we have in
16 the scoping plan process to develop a set of emission
17 reduction measures that can contribute to and achieve the
18 2030 goal, while ensuring the State is on its path towards
19 achieving the 2050 target.

20 --o0o--

21 CHAIR NICHOLS: Excuse me. Can I interrupt you
22 for just a second as I'm looking back at that chart. Have
23 you factored into this or are you thinking about what you
24 could achieve with an earlier commitment to addressing the
25 short-lived climate pollutants how that would -- how that

1 would affect the curve? Is that another chart somewhere?

2 CLIMATE CHANGE PROGRAM EVALUATION BRANCH CHIEF

3 SAHOTA: So Chair Nichols. It's Rajinder here. This
4 chart is from the last scoping plan update. And at the
5 time, the SLCP was not being developed and we didn't have
6 an idea of the potential measures or potential reductions.
7 So this chart does not factor into that SLCP potential
8 reductions.

9 CHAIR NICHOLS: Okay. It probably doesn't change
10 the flow of the rest of the presentation, but I hope that
11 is something that you're looking at. Okay. Great.

12 --o0o--

13 AIR POLLUTION SPECIALIST NICHOLS: Next slide.
14 Thank you.

15 ARB and our sister agencies are using a set of
16 guiding principles to direct our work in developing the
17 2030 target scoping plan update. The first is, of course,
18 to develop an approach that achieves the 2030 emission
19 reduction goal. In addition, others include creating jobs
20 and supporting a robust workforce, conserving water and
21 continuing to direct investments towards projects that
22 support disadvantaged and vulnerable communities.

23 The update will support a more resilient
24 California, as well as transform California into a clean
25 energy economy that ultimately gives consumers more clean

1 energy choices.

2 --o0o--

3 AIR POLLUTION SPECIALIST NICHOLS: While we have
4 not yet defined the exact measures that will be included
5 in the 2030 target scoping plan update, we do recognize
6 that we are not starting from a blank slate. In reality,
7 we want to build on the strong foundation of programs and
8 policies that have already been put into place to achieve
9 the existing 2020 target established under AB 32.

10 The main programs are listed here and include the
11 Cap-and-Trade Program, the Low Carbon Fuel Standard,
12 Renewable Portfolio Standard, and the Advanced Clean Cars
13 Program among others. For each of these existing
14 programs, we will be examining the potential role that
15 each could play in moving towards the 2030 target,
16 including continuation, expansion, and strengthening of
17 programs

18 The Cap-and-Trade Program is one that received
19 several comments after the October 1st workshop. As we
20 consider the role of the Cap-and-Trade Program in a
21 post-2020 landscape, a program with declining caps is the
22 referred option. However, as part of the development of
23 the scoping plan update, staff will be evaluating the
24 potential role of alternatives, such as a carbon tax
25 and/or prescriptive regulations.

1 We will also be examining the role of new efforts
2 that are needed to achieve the 2030 emission reductions
3 goal, such as the short-lived climate pollutant reduction
4 plan currently under development, as well as the new RPS
5 requirement of 50 percent by 2030.

6 --o0o--

7 AIR POLLUTION SPECIALIST NICHOLS: Another way to
8 consider the measures that will be developed for the 2030
9 target scoping plan update is through this list of focus
10 areas or specific areas of policy development that are
11 worthy of consideration, but are not immediately
12 identified in the Governor's pillars. Among them include
13 agriculture, waste management, and water, which themselves
14 present a unique set of circumstances that provide both
15 opportunities as well as challenges for developing the
16 scoping plan. In all cases, the measures included in the
17 scoping plan will recognize and maximize synergies across
18 all sectors of the economy.

19 --o0o--

20 AIR POLLUTION SPECIALIST NICHOLS: AB 32 directed
21 ARB to convene an Environmental Justice Advisory
22 Committee, or EJAC, to advise the Board in developing the
23 scoping plan and any other pertinent matters in
24 implementing the Act.

25 The first EJAC was approved in 2007 to advise

1 development of the original scoping plan. The current
2 committee was appointed by the Board in 2013 to advise on
3 the first update to the scoping plan. The Committee
4 consists of 13 members representing all regions of the
5 State. Four new members were appointed to the Committee
6 at the September 2015 Board hearing in order to fill
7 vacancies.

8 A Committee meeting is tentatively planned for
9 early December, and a meeting notice will be posted to the
10 Committee's webpage at least 10 days in advance of the
11 meeting. The Committee will be publicly discussing the
12 development of the 2030 target scoping plan update, and
13 the status of existing climate programs. All EJAC
14 meetings accompanied by a robust public process, including
15 a comment period.

16 The legislature and ARB have also taken steps to
17 ensure more direct coordination on EJ issues. This
18 includes the addition of two new Board members with
19 background on issues pertaining to disadvantaged
20 communities who will be approved next year. In addition,
21 one existing Board member, Board Member Serna, will serve
22 as liaison between the Board and EJAC to ensure effective
23 coordination.

24 For the first scoping plan update, the EJAC
25 provided recommendations for each key sector, as well as

1 overarching environmental justice policy. Recommendations
2 on the 2030 target scoping plan update will be discussed
3 at future EJAC meetings. At these meetings, the EJAC will
4 discuss the various AB 32 programs, including the upcoming
5 draft short-lived climate pollutant reduction strategy,
6 the cap-and-trade adaptive management plan, and
7 California's compliance with the Clean Power Plan among
8 others.

9 As previously mentioned, all EJAC meetings will
10 be accompanied by a full and robust public process,
11 including the opportunity for interested stakeholders to
12 provide comments and ask questions.

13 --o0o--

14 AIR POLLUTION SPECIALIST NICHOLS: The 2030
15 target scoping plan update will include an economic
16 analysis, which will evaluate the economic impact to
17 California of achieving the 2030 emissions reduction
18 target. Specifically, the analysis will evaluate the
19 economic impact of the various technology pathways and
20 technologies included in the scoping plan, as well as
21 their use and adoption in the State, their costs, and the
22 potential savings they may produce.

23 The economic analysis will also include the
24 economy-wide interactions of carbon pricing, as well as an
25 assessment of the potential impacts to California

1 businesses and residents. It should be noted that the
2 economic analysis is not an exercise that is completed at
3 the end of the scoping plan once all emission reduction
4 measures have been finalized, rather the economic analysis
5 is integrated through all phases of scoping plan
6 development.

7 In this way, the analysis actually helps us to
8 inform the development of the measures included in the
9 scoping plan, thereby helping to shape the plan itself.

10 --o0o--

11 AIR POLLUTION SPECIALIST NICHOLS: In order to
12 conduct a robust economic analysis, we are in the process
13 of establishing a group of expert peer reviewers who will
14 serve in an advisory capacity in the assessment of the
15 economic impacts of the 2030 target scoping plan.

16 This group will consist of three to five core
17 expert reviewers who will call on the insights of
18 additional experts as needed during scoping plan
19 development. We have not yet finalized the members of
20 this group. Once members have been invited and they
21 accept, we will publicly announce the group, as well as
22 their first public meeting.

23 The purpose of the expert review group is to
24 assist ARB by providing expert advice, review and input on
25 various topics, including economic and macroeconomic

1 impacts, and the technology pathways that will be
2 considered. This task will be coordinated by ARB's Chief
3 Economist Emily Wimberger, who is sitting to my right, as
4 well as Assistant Executive Officer Michael Gibbs. With
5 their oversight, this group will serve in an advisory
6 capacity, coordinate with State agencies, and conduct all
7 activities in a public forum.

8 --o0o--

9 AIR POLLUTION SPECIALIST NICHOLS: We began the
10 public process for the 2030 target scoping plan update at
11 the first kick-off workshop, which was held in Sacramento
12 on October 1st of this year. This multi-agency meeting
13 was co-hosted by the California Environmental Protection
14 Agency, California State Transportation Agency, California
15 Energy Commission, California Public Utilities Commission,
16 California Natural Resources Agency, the California
17 Department of Food and Agriculture, the Air Resources
18 Board, as well as the Governor's Office of Planning and
19 Research.

20 In doing so, it provided our sister agencies with
21 the opportunity to share their near and long-term visions
22 for the State and also provided an additional opportunity
23 for public engagement, comments and questions.

24 ARB received over 30 written comments in addition
25 to oral comments heard at the workshop, which will be

1 considered as we continue to develop the scoping plan.
2 This workshop was just one of the opportunities for public
3 and stakeholder engagement during scoping plan
4 development.

5 --o0o--

6 AIR POLLUTION SPECIALIST NICHOLS: In the coming
7 months, ARB staff will hold regional workshops in the Bay
8 Area, Los Angeles, and the Central Valley to continue the
9 process for scoping plan development. Each of these
10 public workshops will be noticed in ARB's website and
11 through the climate change listserve at least 10 days in
12 advance of the meeting.

13 Augmenting these regional workshops, staff will
14 also be holding technical workshops in early 2016 on the
15 environmental analysis and economic analysis. These
16 meetings will also be noticed at least ten days in
17 advance.

18 ARB anticipates the draft 2030 target scoping
19 plan will be ready for Board consideration in spring 2016.
20 The draft scoping plan will be accompanied by an informal
21 45-day public comment period. Staff will also provide
22 formal written responses to comments received on the draft
23 and final environmental assessments that accompany the
24 scoping plan.

25 Finally, staff anticipates that the final 2030

1 target scoping plan will be ready for Board consideration
2 in fall 2016.

3 --o0o--

4 AIR POLLUTION SPECIALIST NICHOLS: And with that,
5 I would like to thank you for your consideration. We
6 would be happy to answer any questions you may have at
7 this time.

8 CHAIR NICHOLS: Well, in case anybody missed it,
9 this is a very ambitious undertaking --

10 (Laughter.)

11 CHAIR NICHOLS: -- on a quite ambitious time
12 schedule. But the Governor has given us the challenge and
13 the opportunity to do something that frankly very few
14 entities in the world get to undertake this kind of a
15 comprehensive plan. And so I'm really pleased that we're
16 in a position to take up the challenge, and that this
17 Board will have an opportunity to have input into it in a
18 number of different ways. I know many of you are already
19 working on pieces of it. Some of the particular areas of
20 review I'm expecting different Board members who have
21 special expertise and interest will be very actively
22 engaged in.

23 He had to leave for a minute, but I wanted to
24 mention that I've asked Phil Serna to take a role with
25 respect to working with the Environmental Justice Advisory

1 Committee to help make sure that we're fully utilizing the
2 people that have been named to serve on that Committee and
3 that they are getting what they need to really be
4 effective with us as well.

5 Of course, we anticipate that our two new Board
6 members will also want to particularly engage in that
7 area. But if you see items in this report that seem
8 particularly interesting, don't hesitate to speak up and
9 volunteer, because you will be put to work.

10 Any -- we do have two people who have signed up
11 to speak. Maybe we should hear from them now. Jerilyn
12 Lopez Mendoza and then Alex Jackson

13 MS. MENDOZA: Good morning. I was just checking
14 to see if it was still morning.

15 Good morning, everyone and thank you for the
16 opportunity to speak. The scoping plan update is
17 something that we're taking great interest in, especially
18 because of the accelerated timeline. The last update was
19 just completed in 2014, and here we are tackling it again.
20 And so we're taking great interest in how this moves
21 forward.

22 We did submit written comments. I wanted to just
23 highlight two things. One is earlier today, and also in
24 the scoping plan update, there's mention of the use of
25 combustion engines -- low NOx combustion engines in

1 cooperation with renewable natural gas. The renewable
2 natural gas I think is where all of us need to work
3 together, because there are sources of renewable natural
4 gas in the state that are not being utilized yet to
5 pipeline quality. So I think the more that we can work
6 together and collaborate and figure out how to make that
7 work, how to generate that renewable natural gas in state,
8 utilize it in state, as well as reduce that naturally
9 occurring emissions of methane from organic sources, I
10 think, it's all to our benefit.

11 So I just wanted to underscore that as something
12 in the scoping plan as well as several other plans that we
13 all, I think, need to work on. And SoCalGas is ready. We
14 have other technical experts who aren't lawyers like me,
15 but who actually know an awful lot about renewable natural
16 gas and are willing to work with you as best we can.

17 Also, I just wanted to point out, earlier we had
18 a very robust discussion about the advanced clean transit
19 rules and all the different technologies. And I learned
20 from my colleagues during that discussion that the
21 Porterville example, which is a small rural city in part
22 of California, I actually have family there. And they are
23 getting ready to order electric buses. They're also
24 ordering four refuse vehicles and a street sweeper that
25 will run on CNG.

1 So they are a multi-fuel, multi-technology fuel
2 neutral fleet as a city. So although they are pursuing
3 electric vehicles in the bus sector, they're also pursuing
4 natural gas vehicles in other sectors. So I think this is
5 just a reminder that I've been trying to underscore. The
6 utility of using natural gas where it's appropriate, where
7 it makes sense in terms of funding and in terms of
8 reductions of emissions and in furtherance of our health
9 goals. So thank you very much for your time today.

10 CHAIR NICHOLS: Well, I'm going to have to look
11 into Porterville, but it sounds like a place that has some
12 officials that are really on the ball.

13 (Laughter.)

14 CHAIR NICHOLS: That's great.

15 MR. JACKSON: Good morning, Chair Nichols,
16 members of the Board and staff. Alex Jackson with the
17 Natural Resources Defense Council. This is the first of a
18 few trips to the podium, principally just to express our
19 sincere thanks and appreciation for the heroic work of the
20 Board and staff over the past decade to get our climate
21 programs to the point where they are today. It's truly
22 been a beacon for the rest of the world, and our
23 leadership is really now more important than ever.

24 On this item, I simply want to just express my
25 support for the conception of the scoping plan update to

1 achieve the goals that the Governor announced for 2030. I
2 think we have the right framework in place, the right
3 guiding principles. And we can really benefit from the
4 hard work we've done over the past decade to build this
5 foundation, which can serve as the basis for achieving our
6 much more aggressive targets.

7 But I want to just echo what Chair Nichols said
8 is that this is ambitious, and we very much want to
9 support the full range of ambition that we see potential
10 here for, because we know there still are gaps, there
11 still are room for improvements, as certain areas in our
12 economy emissions are growing. I don't think we've seen
13 progress in all areas as much as we would have liked. And
14 the scoping plan is really a unique forum that brings
15 together all of the agencies we know are going to have to
16 get engaged. I think particularly in the area of
17 agriculture and forestry to achieve the Governor's pillar
18 on natural working lands to turn our -- those lands into
19 an actual sequesters of carbon and not emitters of carbon.

20 So we need to be bold. And I'd like to encourage
21 staff to think of new measures like have been proposed
22 through the short-lived climate pollutant strategy, and
23 new processes. And even if we're going to be inviting
24 some additional controversy and battles ahead, know that
25 your supporters are with you every step of the way.

1 Lastly, on the economic assessment, I think as it
2 was presented, it seems like it's only going to be looking
3 prospectively forward out to 2030. And I'd encourage
4 perhaps the staff maybe in partnership with an academic
5 institution to also look backwards. And I think that's
6 probably a refrain you most often hear from some of the
7 discontents from the scoping plan, but I think it's a
8 great story we have to tell about how far we've come
9 implementing the scoping plan, that we've essentially
10 decoupled economic growth from emissions.

11 And as we look to set new targets, develop new
12 programs to achieve those targets, I think that's a story
13 we can and should tell. And I think that's an area I'd
14 encourage additional investigation into.

15 Thank you.

16 CHAIR NICHOLS: Thank you. I want to Emily
17 Wimberger, because it seems to me that several years ago
18 we had a conference with a bunch of academic economists,
19 where we talked about exactly this issue of kind of being
20 in a position to be able to look back, and what kind of
21 metrics they were hoping for from us, so that they could
22 do this kind of a backward look at what had been achieved
23 at what cost. And I'm wondering if you have any further
24 information about that?

25 CHIEF ECONOMIST WIMBERGER: I do. I think that

1 was a great conference. We brought together a lot of
2 really well-known economists that have thought about this
3 a lot. And I think at the end of the day was this is a
4 really hard problem, and this is a really hard question to
5 answer. It's really hard in the whole scope of the
6 California economy to parse the impact of all of our
7 environmental regulations, let alone AB 32 and let alone
8 some -- a one set-alone measure like cap-and-trade.

9 So I think Alex is right, there is a desire to
10 look back, and to be able to say what we've done and what
11 we've achieved, and maybe to learn from -- to learn
12 lessons from implementation. That is still a goal that we
13 have. I think this expedited timeline has muddied the
14 waters a little bit. There was initially a greater intent
15 to have sort ex-post analysis in the next scoping plan
16 update. With this expedited time frame, we want to make
17 sure that we're doing due diligence and looking forward,
18 and to sort of incorporate, where we can, the lessons
19 we've learned through implementation.

20 CHAIR NICHOLS: Well, aside from our interests,
21 which obviously are paramount to the State, it would seem
22 to me that this would be a great topic for some ambitious
23 Ph.D. students. And I'm just wondering where they are?

24 (Laughter.)

25 CHIEF ECONOMIST WIMBERGER: Agreed. I think

1 they're waiting for data. So this is something we've been
2 working on is how we can really reach out to universities
3 and to grad students, who are very cheap labor, and really
4 get some new minds thinking about these topics and get
5 addition work done.

6 CHAIR NICHOLS: I'm sure they appreciate that
7 reference.

8 (Laughter.)

9 CHAIR NICHOLS: Thanks. Okay. Thank you. We're
10 at an odd point here, where we're a little bit early for
11 our lunch break, but I don't how much time was planned for
12 the cap-and-trade item. So, Mr. Corey, what's your advice
13 on this? Should we --

14 EXECUTIVE OFFICER COREY: Let me ask how many
15 folks have signed up to testify on -- to speak to that
16 item.

17 MR. ANDREONI: Two on this item.

18 EXECUTIVE OFFICER COREY: Two. Actually, I think
19 we've got about a 20-minute presentation, two people that
20 want to comment. We could get through and --

21 CHAIR NICHOLS: Well, why don't we just do that
22 then and then we'll take our break.

23 Okay. Great.

24 On to cap-and-trade.

25 Thank you, Ms. Nichols. Very exciting to be able

1 to say that. No relation, at least as far as I know.

2 The next item on the agenda for today is an
3 update on the Cap-and-Trade Program, which obviously is a
4 big part of our overall climate strategy. The Board first
5 considered the Cap-and-Trade Regulation in 2010. Since
6 then, the regulation has been updated several times, and
7 many implementation milestones have come to pass including
8 two compliance deadlines and several successful joint
9 auctions with our linked partner Quebec.

10 Staff has continued to meet with stakeholders to
11 ensure efficient implementation of the program, while
12 sharing the lessons learned with other jurisdictions
13 considering options for climate change mitigation. I
14 would have to say our phones have never been silent since
15 we first started working on this program. There's great
16 interest around the world in how it's all working.

17 The program is establishing an important
18 mechanism for reducing greenhouse gas emissions that can
19 continue past 2020 to meet newly established emissions
20 targets. As such, the program is considered a key
21 component of the State's climate change mitigation
22 strategy. And as ARB develops the scoping plan, we will
23 continue to be looking at what role it will play as well.

24 Because the Cap-and-Trade Program is a key
25 element of California's existing strategy to meet

1 emissions reduction goals, it was subject to an ongoing
2 request by the Board for an annual update. So this, I
3 believe, constitutes the annual update that the Board
4 asked for. It just happens to be a nice coincidence that
5 it fits with the scoping plan discussion as well.

6 Mr. Corey.

7 EXECUTIVE OFFICER COREY: Yes. Thank you, Chair
8 Nichols. So the Cap-and-Trade Program is an economy-wide
9 measure that places a price on greenhouse gas emissions to
10 incentivize emission reduction. The program has
11 functioned as intended in its first three years of
12 operation.

13 In early October, staff held a kick-off workshop
14 to commence the public process to develop amendments to
15 the Cap-and-Trade Regulation. Key elements of these
16 amendments will include setting the post-2020 cap on
17 emissions, defining the program's role for compliance with
18 the U.S. EPA's Clean Power Plan, establishing linkage with
19 other organizations, and updating levels of allowance
20 allocation for leakage prevention for the third compliance
21 period and beyond.

22 Coordination with our linked partner, Quebec, and
23 potential new linked partners will be critical to ensure
24 continued smooth operation of a linked program post-2020.
25 And just earlier this month, the program passed a major

1 milestone, the compliance event for the first compliance
2 period you'll be hearing about.

3 So with that, now Mark Sippola from the Climate
4 Change Program Evaluation Branch will begin the staff
5 presentation.

6 Mark.

7 (Thereupon an overhead presentation was
8 presented as follows.)

9 MR. SIPPOLA: Thank you, Mr. Corey. Good
10 morning, Chair Nichols, and members of the Board.

11 --o0o--

12 MR. SIPPOLA: This slide provides an overview of
13 today's presentation to bring you up-to-date on
14 California's Cap-and-Trade Program.

15 I'll first provide information on the background
16 and goals of the program. I'll then go over recent major
17 milestones and general statistics of the Program,
18 including data on the reporting and verification program,
19 and the first compliance period.

20 I'll also provide information on the compliance
21 offsets program, and an update on linking California's
22 Cap-and-Trade Program with other jurisdictions. I'll
23 close by discussing staff's proposal for the scope and
24 schedule for 2016 amendments to the regulation and the
25 next steps for the program.

1 --o0o--

2 MR. SIPPOLA: The Cap-and-Trade Regulation is one
3 of a suite of measures to reduce greenhouse gas emissions
4 and meet the goals set by AB 32. The cap limits total
5 annual GHG emissions from all regulated sources. And this
6 cap declines each year to reduce emissions.

7 Regulated parties must acquire and retire one GHG
8 emissions allowance for each ton of emissions.

9 Participants may trade these State-issued allowances, and
10 this trading creates compliance flexibility and allows
11 entities to find the lowest cost means for meeting their
12 obligations.

13 The Cap-and-Trade Program works together with
14 traditional command and control measures; a GHG emission
15 reduction to satisfy a command and control regulation,
16 such as procurement of renewable power for the RPS program
17 also reduces the compliance obligation in the
18 Cap-and-Trade Program.

19 The program is designed to provide flexibility,
20 so that the lowest cost reduction in the economy can be
21 targeted. And it does not mandate any reductions by
22 specific facilities. It's a backstop to traditional
23 regulations and it provides a guarantee that we will meet
24 our statewide reduction goals.

25 --o0o--

1 MR. SIPPOLA: The main goal of the program is to
2 reduce greenhouse gas emissions. This is accomplished by
3 putting a price on GHG emissions to incentivize change.
4 This price signal spurs innovation in low-emissions and
5 energy efficient technologies.

6 The Cap-and-Trade Program complements existing
7 programs to reduce smog and air toxics. And it serves as
8 a backstop to ensure that the AB 32 emission goals for GHG
9 are realized through a strict limit. Again, it provides
10 flexibility by allowing covered entities to find the most
11 cost effective reductions in the market as a whole to find
12 the cheapest means of compliance.

13 And the goals of the program extend beyond
14 California's borders. The program is designed to
15 integrate with other GHG reduction programs.

16 --o0o--

17 MR. SIPPOLA: The Cap-and-Trade Program relies on
18 the mandatory greenhouse gas reporting regulation for
19 data. MRR was adopted in 2007 and took effect in January
20 1st, 2008. Entities with over 10,000 metric tons of
21 emissions are required to report emissions. And entities
22 with over 25,00 metric tons of emissions are covered by
23 the Cap-and-Trade Program and must annually report
24 emissions and have them verified by a third party.

25 There about 775 entities that report under MRR.

1 This includes large industrial emitters, importers and
2 retail providers of electricity, and suppliers of
3 transportation fuels and natural gas.

4 The Cap-and-Trade Regulation took effect January
5 1st, 2012 and now covers 85 percent of statewide GHG
6 emissions. Entities that are covered must acquire and
7 surrender allowances and offsets to match their GHG
8 emissions for each compliance period, and they must also
9 comply with record keeping, market rules, verification,
10 and other requirements in the regulation.

11 --o0o--

12 MR. SIPPOLA: The next slide provides the major
13 milestones achieved to date for the program. The first
14 auction and first free allowance allocation were in
15 November 2012. Compliance obligations began on January
16 1st, 2013. The program linked with Quebec in January
17 2014. The first annual compliance obligations were due in
18 November 2014. Covered entities were required to
19 surrender compliance instruments, either allowances or
20 offsets, equal to 30 percent of their 2013 covered
21 emissions. And all covered entities successfully did that
22 in the first year. The first joint auction with Quebec
23 was held November 2014.

24 Emissions associated with transportation fuels
25 and natural gas supplied to residential and commercial

1 outlets began being covered by the cap in January 2015.
2 And the compliance event for the first compliance period
3 was three weeks ago. Covered entities needed to surrender
4 compliance instruments equal to the remainder of their
5 obligation for 2013 covered emissions, plus all 2014
6 covered emissions. Compliance instruments were
7 surrendered for 99.8 percent of emissions covered by the
8 program in the first compliance period.

9 --o0o--

10 MR. SIPPOLA: This slide provides general
11 statistics to give a sense of the size and scope of the
12 program. There are about 450 facilities that are covered
13 by the program. These facilities account for 85 percent
14 of statewide emissions.

15 In addition, there are 260 voluntary entities.
16 These include offset project developers, brokers, and
17 traders. There are currently 625 million compliance
18 instruments held in private accounts. And the most recent
19 auction settlement price was \$12.52 per allowance. The
20 approximate market value of compliance instruments in
21 circulation is \$7.56 billion.

22 --o0o--

23 MR. SIPPOLA: As I mentioned, the Cap-and-Trade
24 Program relies on the mandatory reporting regulation for
25 its data. This slide provides an overview of GHG

1 emissions reporting and verification program. For 2014
2 data reported in 2015, 775 reports were submitted to ARB.
3 Of these, 530 required verification and 528 reports were
4 verified, for a 99.6 percent compliance rate with no
5 adverse verification statements.

6 Regarding enforcement, staff works proactively
7 with stakeholders to prevent non-conformance with the
8 regulation, and formal enforcement is consistent and
9 effective.

10 --o0o--

11 MR. SIPPOLA: The first compliance period covered
12 2013 and 2014. Total covered emissions over that time
13 were about 291 million metric tons, and compliance
14 instruments were surrendered for over 99.8 percent of
15 covered emissions. Of the instruments surrendered, 95.5
16 percent were allowances, and 4.5 percent were offsets.
17 You may recall that the offset usage limit is eight
18 percent.

19 During the first compliance period, the market
20 has functioned smoothly, and covered entities have
21 successfully met their obligations. The program is
22 operating as intended and is viable for the future. Staff
23 has received feedback from covered entities that their
24 long-term financial planning includes consideration of a
25 costs of GHG emissions.

1 --o0o--

2 MR. SIPPOLA: Offset credits are tradable
3 compliance instruments that represent verified GHG
4 emission reductions or removal enhancements made in
5 sectors and sources not covered by the Cap-and-Trade
6 Program. Entities may use ARB offset credits to fulfill
7 up to eight percent of their compliance obligation.

8 There are currently six offset protocols that
9 have been adopted by ARB: U.S. Forestry, urban forestry,
10 livestock digesters, ozone depleting substances, mine
11 methane capture, and rice cultivation.

12 These programs are only applicable in the U.S.
13 Reductions from offsets must meet AB 32 criteria of being
14 real, permanent, quantifiable, verifiable, enforceable,
15 and additional. Additional means beyond any regulation
16 and beyond what would otherwise occur.

17 --o0o--

18 MR. SIPPOLA: This next slide provides
19 information on the status of the offsets program. The
20 first offsets were issued September 2013. Seventy
21 compliance projects and 90 early action projects have
22 received ARB offset credits, and nearly 34 million offsets
23 have been issued to date. 111 offset project verifiers
24 have been accredited by ARB.

25 The types of offsets that have been issued are

1 summarized in the table, which shows that the majority are
2 derived from U.S. Forestry projects and projects reducing
3 ozone depleting substances.

4 Again, entities may use ARB offset credits to
5 fulfill up to eight percent of their compliance
6 obligation. There were about 291 million metric tons of
7 covered emissions over the first compliance period. And
8 eight percent of that is just over 23 million metric tons.
9 So the nearly 34 million offset credits that have been
10 issued are more than enough to satisfy the maximum
11 allowable demand in the first compliance period.

12 --o0o--

13 MR. SIPPOLA: California's program linked with
14 Quebec beginning January 2014. California and Quebec have
15 held five joint auctions to date. Quebec is developing
16 offset protocols for mine methane capture. And in the
17 first compliance period, the 55 reporting facilities in
18 Quebec achieved 100 percent compliance, a positive
19 indication of strong commitment to the program by both the
20 regulatory teams and covered entities there.

21 Earlier this year, Ontario announced intentions
22 to develop a Cap-and-Trade Program with a launch in 2017.
23 Ontario is proposing to link their program with California
24 and Quebec. And there is ongoing collaboration on
25 reporting, market rules, offset protocols, and other areas

1 to support potential linkage.

2 --o0o--

3 MR. SIPPOLA: Staff is proposing to amend the
4 Cap-and-Trade Regulation in 2016. One main goal of this
5 rulemaking is to continue the Cap-and-Trade Program beyond
6 2020. The last scoping plan update identified the
7 Cap-and-Trade Program as an important measure to ensure
8 that California GHG emissions continue to decline.

9 Another goal is to make the program more
10 efficient. Staff has implemented the program for several
11 years and has identified opportunities to make the process
12 more efficient. This will be done by streamlining
13 regulation requirements, streamlining implementation, and
14 removing requirements where possible. We also want the
15 program to be based on the latest data and information,
16 including recent leakage studies, global warming
17 potentials and experiences from other emissions trading
18 programs. And we just do this while maintaining the
19 environmental integrity of the program, as well as the
20 integrity of the carbon market.

21 --o0o--

22 MR. SIPPOLA: Some proposed amendments to the
23 Cap-and-Trade Regulation would take effect prior to the
24 third compliance period, which will be the years 2018
25 through 2020. These amendments would streamline the

1 offsets program, auctions, and management of information.
2 Some amendments would potentially incorporate sector based
3 offset credits into the program, and others would
4 incorporate results of leakage studies for third
5 compliance period allowance allocation.

6 Program linkage with Ontario is another area that
7 could be addressed by proposed amendments for the third
8 compliance period.

9 --o0o--

10 MR. SIPPOLA: Some amendments will affect the
11 program after the third compliance period beginning in the
12 year 2020. This slide represents the staff proposal for
13 some of the potential amendments. Areas for change could
14 include the continuation of the program after 2020,
15 including the post-2020 caps on emissions and discussions
16 about which sectors will be included in the cap.

17 Other changes will consider revised or additional
18 provisions for cost containment and market oversight, the
19 program's role for compliance with the U.S. EPA's Clean
20 Power Plan, allowance allocation, and continuation of our
21 linkage with Quebec and potentially Ontario.

22 It is important to note that the scoping plan
23 update item that you heard earlier today and the next item
24 on the federal Clean Power Plan are both related to any
25 potential post-2020 Cap-and-Trade Program. Staff believes

1 that it is important to start the discussion on a
2 post-2020 program sooner rather than later as covered
3 entities need regulatory certainty, and any State
4 submittal of a compliance plan for the federal 111(d) rule
5 that includes a trading mechanism must have that mechanism
6 identified and drafted next year.

7 --o0o--

8 MR. SIPPOLA: Here is the tentative schedule for
9 the Cap-and-Trade Regulation amendment process. Staff
10 expects to continue holding public workshops on specific
11 regulation topics over the next several months. We
12 anticipate releasing draft regulation language along with
13 an Initial Statement of Reasons in spring 2016. There
14 will be a 45-day comment period leading up to the first
15 Board hearing on the amendments in summer 2016.

16 A second Board hearing will take place around
17 spring 2017, and that will be followed by the submission
18 of the final regulation language and Final Statement of
19 Reasons to the Office of Administrative Law by summer
20 2017. The schedule would allow for the newly adopted
21 regulation to be in effect by October 2017 prior to the
22 start of the third compliance period.

23 --o0o--

24 MR. SIPPOLA: Staff will conduct several public
25 workshops on specific topics related to the amendments.

1 Some workshops have already taken place. A kick-off
2 workshop for the amendment process was held on October
3 2nd, the same day that staff also held workshops on cost
4 and containment and market oversight, and on the
5 Cap-and-Trade Program's role for compliance with the
6 federal Clean Power Plan. Sector based offsets were the
7 topic of a workshop held October 28th.

8 The results of leakage studies conducted by UC
9 Berkeley, Cal Poly, and Resources for the Future will be
10 presented and discussed at a workshop in January 2016.
11 And the implications of the leakage study for allowance
12 allocation will be discussed in February. This schedule
13 is not comprehensive or complete, and additional workshops
14 will be added as needed.

15 Staff is committed to a robust public process
16 with ample opportunity for public and stakeholder review
17 and comment. Each workshop will be followed by an
18 informal comment period where all comments received will
19 be posted to the ARB website.

20 --o0o--

21 MR. SIPPOLA: Looking to the future, staff will
22 continue to implement the program, continue the process
23 for developing the 2016 amendments, and continue
24 coordination among the amendment process, the development
25 of the scoping plan update and the development of the

1 approach for compliance with the federal Clean Power Plan.

2 This concludes staff's update on the
3 Cap-and-Trade Program, and we're happy to answer any
4 questions that you may have at this time.

5 CHAIR NICHOLS: Okay. Great. Why don't we take
6 our three commenters then we can turn to some discussion.

7 So Robin Shropshire, Alex Jackson, and John
8 Larrea

9 MS. SHROPSHIRE: Good afternoon. This my first
10 time in front of the Board, so thanks for giving me the
11 opportunity to address you.

12 Good afternoon, Chair Nichols and Board members.
13 I'm Robin Shropshire and I'm happy to be here today on
14 behalf of the Panoche Energy Center, a 400 megawatt gas
15 fired peaking plant located in the San Joaquin Valley.

16 As you're aware, peaking power plants play a
17 unique role in allowing for integration of renewables into
18 the energy mix, providing for reliable energy and
19 contributing to the success of AB 32.

20 The PEC facility operates under a long-term
21 tolling agreement, which essentially means it's our job to
22 be available to generate reliable electricity when
23 instructed to do so. We have no control over when the
24 facility runs and in turn no control over the facility's
25 resulting CO₂ emissions.

1 Another important and interesting element of this
2 story is that we have a legacy contract, which means, as
3 I'm sure you're aware, that our contract predates AB 32,
4 and therefore was unable to contemplate how responsibility
5 by carbon dioxide emissions would be handled in the
6 contract. As a result of this ambiguity and in working
7 with CARB, we received interim relief in the form of
8 legacy contract allowances.

9 We've been working with our utility counterparty
10 and ARB staff on the issue of legacy contracts for several
11 years, and unfortunately despite prolonged good faith
12 attempts at negotiations, we've not been able to
13 successfully resolve the issue of greenhouse gas
14 compliance costs.

15 The reason I'm here testifying before you today
16 is I want to inform you of some of the unintended
17 consequences that have resulted. Soon after we were
18 notified by CARB that PEC qualified for legacy contract
19 allowances, we received a letter from our utility
20 counterparty telling us that the price of carbon would be
21 removed from the facilities dispatch price. At first
22 glance, that might seem like a logical outcome, but we
23 understand now that the removal of the price of carbon
24 from the dispatch price has resulted in outcomes that are
25 in direct conflict with the goals of AB 32.

1 The removal of carbon costs from the dispatch
2 price has resulted in an inaccurate carbon price signal
3 that has resulted in significantly higher net generation,
4 which equates to significant increases in emissions and
5 increased demand on water supply when compared to similar
6 plants. In fact, PEC's generations and emissions have
7 more than doubled since the 2012 base year and have
8 resulted in millions of dollars in unnecessary increased
9 cost to ratepayers.

10 The good news is we believe that these issues are
11 solvable. At this point, although we're only a few years
12 in, we've moved beyond the unicorn and puppy phase. We
13 have real data that we're learning from, which is great.
14 We really need to take advantage of that, and learn from
15 this meaningful information to make a program that works.

16 As the Cap-and-Trade Program has opened up to
17 make adjustments, PEC sincerely looks forward to working
18 with your staff, sharing lessons learned, and our
19 observations to help create a permanent and efficient
20 solution that is consistent with the goals of AB 32. So
21 I'd be happy to answer any questions if you have any.

22 Thank you.

23 CHAIR NICHOLS: Thanks. Good job.

24 Staff, do you have any comment on the response to
25 this situation?

1 CLIMATE CHANGE PROGRAM EVALUATION BRANCH CHIEF

2 SAHOTA: And the commenter is correct. We've been working
3 with them for several years and their counterparty to
4 better understand the situation. As the commenter stated,
5 we do have the legacy contract provisions in the
6 Cap-and-Trade regulation to address concerns of contracts
7 that did not, at some point, contemplate a carbon cost.

8 So that applies to several generators, not just
9 this situation. There has been a protracted disagreement
10 between the counterparties, the utility, and this
11 generator. And we have had several discussions between
12 CAISO, CEC, CPUC, and FERC to better understand if there
13 are any legal issues that are resulting from the way that
14 the plant is being dispatched. We have not identified any
15 legal issues.

16 And in the context of increased emissions from
17 peaker plants, I think that we're seeing that in several
18 peaker plants because of the prolonged drought, and the
19 reduction in hydropower in the State overall. So we're
20 not seeing something that looks like it's untowards here
21 from an environmental perspective or an outcome, based on
22 the drought conditions.

23 We're still continuing to look at data that the
24 generator is providing, but it's going to be a bit
25 difficult for us to get involved in the contract, because

1 this really is a contractual issue between two parties.

2 CHAIR NICHOLS: I remember this issue. It's all
3 coming back to me now.

4 (Laughter.)

5 VICE CHAIR BERG: Madam Chair?

6 CHAIR NICHOLS: Yeah. But I do think this point
7 that you just alluded to that some of our projections of a
8 few years ago about what the energy mix was going to look
9 like have turned out not to be correct, mainly because of
10 the drought. And so that does need to be factored into
11 our thinking as we go forward for sure.

12 Well, I appreciate your coming back and updating
13 us. I'm sorry, it's not -- did not turn out simply or
14 well and that it's still an issue. But it's something we
15 need to be aware of. So thank you for your coming by, and
16 I wish I had some something to report to you, but we'll
17 and aware of it. That's the best I can say.

18 MS. SHROPSHIRE: Thanks for your attention.
19 Thanks.

20 CHAIR NICHOLS: Thank you.

21 VICE CHAIR BERG: Madam Chair, may I ask just a
22 follow-up question --

23 CHAIR NICHOLS: Yes. Yeah, sure go ahead.

24 VICE CHAIR BERG: -- since I was pretty involved
25 in this --

1 CHAIR NICHOLS: Sorry, before you leave. Yes.

2 VICE CHAIR BERG: -- issue. But mainly of staff
3 is my recollection correct that the allowances -- the
4 legacy allowances that we did give they have a sunset
5 date, 2017?

6 ISD PROGRAM DEVELOPMENT SECTION MANAGER COOMBS:

7 That's correct. They're legacy contract
8 generators without an industrial counterparty, do have a
9 sunset date. They will last be provided free allowances
10 in vintage 2017s. Those legacy contract generators who
11 have an industrial counterparty, that assistance will go
12 through the life of the legacy contract.

13 VICE CHAIR BERG: And what does this facility
14 follow under, which --

15 CLIMATE CHANGE PROGRAM EVALUATION BRANCH CHIEF
16 SAHOTA: Because their counterparty is a utility and not
17 an industrial counterparty, we do not take allowances away
18 from the utility to give to this generator. They are
19 under the sunset provisions for 2017.

20 VICE CHAIR BERG: So that's going to have to be
21 one of the things that we will have to take a look at if,
22 in fact, the assumptions that we made were different,
23 because of the drought. And so I really encourage staff
24 to continue working with the parties. And anything that
25 any of us can do to help, we're happy to do that.

1 Thank you.

2 MS. SHROPSHIRE: Chair Nichols, would it be
3 appropriate for me to respond to the drought issue?

4 CHAIR NICHOLS: Yes.

5 MS. SHROPSHIRE: And it's a question we asked
6 ourselves, because it seems like an obvious response, in
7 that we -- we're seeing increased dispatch because of the
8 drought. And one of the things -- we had the exact same
9 question that we looked at was similar facilities that are
10 adjacent to us that have similar pricing. And we're
11 not -- you know, there is some increase in dispatch with
12 almost identical facilities that are within the same
13 vicinity, but our increase in dispatch is significantly
14 more than those.

15 So I think the increase that we're seeing is
16 beyond what you're seeing for identical facilities next to
17 us. So I do think that some of these trends are not
18 attributed to the drought, at least that's what our data
19 show.

20 CHAIR NICHOLS: Understood.

21 MS. SHROPSHIRE: Thank you.

22 CHAIR NICHOLS: Okay. Thank you.

23 Next, Mr. Jackson.

24 MR. JACKSON: Hello, again. And I think in
25 the -- well, Alex Jackson, Natural Resources Defense

1 Council. And, you know, with the official end of the
2 first compliance period in our rear-view mirror now, I
3 think it's an appropriate moment to really just reflect
4 and step back a bit on the amazing achievement of this
5 Board and this staff in developing this rule, which has
6 got to be one of the most comprehensive pieces of
7 regulation anywhere in the United States. All the public
8 workshops, all the effort that went into it, and look at
9 the results, so far. You know, emissions are down, the
10 economy is up, and the sky hasn't fallen, and the
11 leadership of California is proving to be important in
12 pushing forward a model that now every state, under the
13 Clean Power Plan, is increasingly going to be looking for
14 as they all have to come up with a program to reduce
15 carbon in the power sector using most likely carbon
16 trading that looks a lot like what California has done now
17 for going on two years.

18 Moving forward, I think with the increased
19 scrutiny and attention and opportunity for other states
20 that have historically not been as keen to move forward on
21 carbon reduction policy, getting in the game, just put my
22 thumb on the scale to really emphasize the design
23 decisions on our post-2020 program are going to be very
24 important.

25 I think particularly in the areas of allowance

1 allocation and the use of allowance value in the electric
2 sector, how are we going to look to prevent leakage as we
3 move to these aggressive 2030 and hopefully targets beyond
4 that. And also I'll just that understanding matters. And
5 I was very supportive and encouraged to hear of all the
6 outreach that the Chair did that Board Member Hector De La
7 Torre and staff to the new members that are inhabiting the
8 legislature that largely weren't around when the AB 32 was
9 debated and initial debates over the program were
10 happening. We know we need to maintain that robust
11 support base and help explain and de-mystify some of the
12 program as still the opponents that don't want to see
13 California succeed in this endeavor will attempt to seize
14 on that whenever they get a chance.

15 And continue to work with other jurisdictions as
16 California has done so successfully, both domestically and
17 abroad to share our lessons learned. As now hopefully as
18 we build towards Paris here in a couple weeks, and build
19 towards more robust carbon trading programs throughout
20 North America, we have a great story to tell and this
21 Board should be proud.

22 Thank you.

23 CHAIR NICHOLS: Thank you.

24 Mr. Larrea.

25 MR. LARREA: Thank you, Madam Chair. John Larrea

1 with the California League of Food Processors. Thank you
2 for allowing me to be here and comment on this.

3 First of all, the food processors have been
4 subject to the cap-and-trade since the very beginning.
5 And I've been informed by staff that we were in 100
6 percent compliance at the end of this very first
7 compliance period. And I think that, you know, despite
8 the fact that we were forced to change from an energy
9 based benchmark into a product based benchmark in the
10 middle of the stream, we were still able to do this. And
11 our industry was very diverse because some of us only have
12 one product, some of us have 500 products all mixed and
13 matched, and we were still able to get a benchmark that
14 worked for us.

15 So I think that kind of shows our commitment to
16 not only complying with the requirements of the
17 regulation, but also our commitment to this program. As
18 long as the State continues to administer it, we will be
19 there and try to make sure we do that.

20 However, as we're moving through the second
21 compliance period and looking at the third. We still have
22 some unresolved issues that we really want to see resolved
23 before we get to 2020.

24 Number one is 100 percent leakage risk. This is
25 the number one issue for our members right now. And

1 considering that they are in disadvantaged community areas
2 for the most part, as identified by the CalEnviroScreen,
3 we are also subject to a number of issues and factors that
4 do not impact other facilities, such as seasonality,
5 crops, water, pesticides, and weather, you know, not just
6 markets. You know, these factors need to be brought into
7 this in order to determine whether or not we need to get
8 the high leakage risk. It's not just whether or not we
9 are -- our markets are going to be affected. It's a
10 number of things that affect us every year.

11 Secondly, as we're moving forward, we would
12 really like to see the offset limits and both
13 geographically and on the percentages. You know, as
14 you've said yourself, it's quite ambitious going into
15 post-2020, and we'd like to get all this resolved well
16 before 2020. So we know exactly where we're going. We
17 need the type of certainty that this Board can supply us
18 because we are businesses, and we do have to meet our --
19 not only our markets, but our customers' issues.

20 Finally, even though it's kind of one-off, I'm
21 going to talk about the auction funds, because the
22 cap-and-trade is the source of those auction funds for the
23 most part. And we have two very big draws from those, one
24 is the Governor's high-speed rail, which takes quite a
25 bit. And, you know, I don't need to point out that that

1 will not result in a single emissions reduction, not only
2 in the compliance periods in which the money was
3 collected, but for many years afterwards. And so CLFP
4 kind of questions whether or not that's the best and
5 highest use for this money at this particular time.

6 Secondly, we have the disadvantaged communities,
7 and we have 25 percent going there. But what's missing
8 out of this is that there's no dedicated stream for
9 facilities who are under the cap-and-trade to receive
10 auction funds.

11 And may I continue or do you want me to --

12 CHAIR NICHOLS: Go ahead and finish up.

13 MR. LARREA: Thank you. There should be an
14 exclusive dedicated percentage of the auction funds for
15 the exclusive use of facilities under the cap-and-trade
16 itself, because who can deny that if a facility, such as
17 ours -- anyone of our food processors receives money to be
18 able to upgrade its system and to become more energy
19 efficient and reduce emissions as a result of that, that
20 it not only benefits us, but also benefits a disadvantaged
21 community in which it may actually be operating in.

22 So I would really urge you to look at the idea of
23 setting aside some money, so that we don't have to compete
24 with others who are not contributing into this fund for
25 the exclusive use of that money for facilities that are

1 subject to the cap-and-trade.

2 Thank you.

3 CHAIR NICHOLS: Thank you.

4 As I'm sure you know, cap-and-trade funds,
5 although they're -- there's a proposal in the Governor's
6 budget, the legislature has to actually act to appropriate
7 them. And this has been an issue that's been discussed
8 before without any success from your perspective. But I
9 think it's really part of a bigger discussion that we're
10 going to be having in the scoping plan context about
11 agriculture and its role in being both a contributor to,
12 and, in some important instances, also one of the entities
13 that can really help with dealing with the greenhouse gas
14 problem, so -- and benefit from it from a business
15 perspective as well. So this is going to be a broader
16 discussion, I think.

17 That concludes the list of witnesses we had on
18 this item. Any Board member questions or comments about
19 the way that the cap-and-trade discussion is going?

20 Dr. Balmes

21 BOARD MEMBER BALMES: I just had one question
22 about offsets. I saw that there was no urban forestation
23 offset activity. Can somebody explain that to me a bit?

24 CLIMATE CHANGE PROGRAM EVALUATION BRANCH CHIEF

25 SAHOTA: Sure. When you think about investing in an

1 offset project, you look at the cost to implement the
2 project and the potential rate of return. When you look
3 at urban forestry, there's a really high cost to implement
4 those projects relative to the other project types. I
5 think in 2009 or '10, we had estimated that it probably
6 cost about \$80 per metric ton to generate a credit for
7 urban forestry.

8 And so at the prices we're seeing in the market
9 today, we're just not seeing the financial incentive to do
10 those projects. That doesn't mean they're not good
11 projects and they don't have other benefits.

12 DEPUTY EXECUTIVE OFFICER CHANG: And I think it's
13 also important to point out that as part of the Greenhouse
14 Gas Reduction Funds that are being funded with the auction
15 proceeds, there are urban forestry projects proceeding.

16 CHAIR NICHOLS: Good point. Yes, Sandy.

17 VICE CHAIR BERG: I just had a quick couple of
18 questions, and -- but first of all, thank you, staff. The
19 cap-and-trade as well as the scoping plan, I remember
20 sitting here thinking, oh, my gosh, we're starting with
21 this clean slate and a lot of times that's a lot of fun,
22 but feeling very, very overwhelmed. I still feel
23 overwhelmed, but extremely --

24 (Laughter.)

25 VICE CHAIR BERG: -- excited because of the work

1 that staff and all the stakeholders have put together has
2 been quite remarkable. And you all should take the
3 opportunity as you can with an update like this to feel
4 really, really proud of what you have accomplished. And I
5 want to say congratulations on that.

6 I just had a -- just a couple of questions under
7 your offset program. The early action items, have we
8 resolved all of those early action items to the
9 satisfaction of all parties?

10 CLIMATE CHANGE PROGRAM EVALUATION BRANCH CHIEF

11 SAHOTA: I think at the last Board meeting on the
12 Cap-and-Trade Program in June, there was concern about
13 early action forestry projects. There were about 16 or 17
14 of those in the pipeline. I think we only have two that
15 are remaining. At the time, we had identified additional
16 staff to help get through that backlog, and we are doing
17 that. We expect to be completely done in the next month
18 or so.

19 VICE CHAIR BERG: Okay. That will be great. And
20 then, you know, there's always -- at these updates,
21 there's just been a small laundry list of carry-over
22 items --

23 (Laughter.)

24 CHAIR NICHOLS: Yes.

25 VICE CHAIR BERG: -- and you know, they don't

1 quite --

2 CHAIR NICHOLS: They squeeze it, but they
3 still --

4 VICE CHAIR BERG: They don't quite make it into
5 the update. But my memory is serving me that, you know,
6 there's been discussion of purchasing and holding limits
7 by the largest regulated entities. We heard a little bit
8 about the legacy contracts, although I think we had an
9 interim fix on that. You know, are we -- I don't need to
10 go over, and I don't need an update on those right now,
11 but I think it would be really helpful if staff would kind
12 of pull those out, take a temperature. We have some
13 history behind now of what's happening. And I think that
14 would be extremely helpful before we came back to really
15 addressing as to what the amendment should look like.

16 Okay. That's it. Thank you very much.

17 CHAIR NICHOLS: All right. I think at this
18 point, we should take a lunch break then, and we'll return
19 at 1:30.

20 (Off record: 12:27 PM)

21 (Thereupon a lunch break was taken.)

22

23

24

25

1 A F T E R N O O N S E S S I O N

2 (On record: 1:48 PM)

3 CHAIR NICHOLS: We're going to get back into
4 session, but they have access to the information. So the
5 members have access to what's going on, even when they're
6 not sitting up here on the dais.

7 So I would like to move on to the next report
8 that was on our schedule. They're drifting in yes.

9 Let's do the Clean Power Plan next, since it was
10 next on the agenda. We've already made reference to the
11 fact that we're looking at the Cap-and-Trade Program in
12 California as our means to compliance with the new
13 greenhouse gas emissions guidelines that are now in effect
14 that require states to submit plans limiting their
15 greenhouse gas emissions from existing power plants. This
16 has been probably the most significant, or at least one of
17 the most significant steps that the federal government has
18 taken on climate change, perhaps second only to the
19 vehicle standards.

20 And we have been big supporters of this effort
21 from the beginning. The Clean Power Plan puts all states
22 on a course to develop emissions reductions for the
23 electricity sector. It has some really major features
24 that are new at the federal level. Probably the most
25 important in the one that is being challenged the most is

1 the question of whether the states have to take into
2 account emissions that occur outside the fence line of a
3 power plant when they look at the responsibilities of the
4 electricity sector. Once implemented, this regulation
5 will reduce overall emissions from power plants nationally
6 by 32 percent below 2005 levels.

7 In California, we've worked together, the ARB,
8 the Public Utilities Commission, the California Energy
9 Commission, as well as the air districts for years with
10 EPA in developing our approach. And I'm happy to say that
11 EPA has paid a lot of attention to the programs that we
12 developed when they put their rule together.

13 Our plan builds on 40 years or more of work that
14 we've been doing under the Clean Air Act, in which states
15 have lead the way to deliver on the federal air quality
16 standards. So we believe that our existing AB 32 programs
17 will enforce the federal effort. We believe that we have
18 the ability to comply with these new regulations based on
19 what we're doing, but we would like to make sure that the
20 Board understands a little bit more in detail what's
21 actually involved here.

22 So with that, I will turn it over to our
23 Executive Officer.

24 EXECUTIVE OFFICER COREY: Thanks, Chair Nichols.
25 Staff is focusing on ensuring that the new federal Clean

1 Power Plan and California's programs are mutually
2 supportive. U.S. EPA has offered us many potential State
3 plan design options that will aid us in that process. And
4 so far, staff and stakeholders have focused on exploring
5 plans that rely in part on our cap-and-trade regulation to
6 ensure federal compliance. And we're confident that as we
7 move forward with our post-2020 programs, ARB is building
8 on a strong emission reduction structure that will also
9 serve the federal goals.

10 So with that, I'll ask Craig Segall, Senior
11 Attorney, to provide the staff presentation.

12 Craig.

13 SENIOR ATTORNEY SEGALL: Thank you, Mr. Corey.
14 Can we get the slides up.

15 (Thereupon an overhead presentation was
16 presented as follows.)

17 SENIOR ATTORNEY SEGALL: Thank you. Chair
18 Nichols, members of the Board, thank you for your time
19 today.

20 My presentation will have two major parts.
21 First, an overview of how the Clean Power Plan works to
22 date, and second an overview of the key issues and
23 challenges we face as we assemble California's compliance
24 plan. I'll close with a description of our current
25 thinking and schedule and some of the next steps we'll be

1 undertaking.

2 --o0o--

3 SENIOR ATTORNEY SEGALL: I think the place to
4 begin is with the overall significance and structure of
5 the plan. As the Chair indicated, this is among the most
6 significant steps the federal government has ever taken on
7 climate change. And that is a story that reflects both
8 major federal efforts and California's own efforts to
9 date.

10 Indeed, when the plan appeared this August, the
11 Sacramento Bee's headline was national greenhouse plan
12 follows California's model. And that's a tribute to our
13 efforts and also the efforts of many of the other states
14 that have focused on developing cleaner, more renewable
15 sources of energy and to the many stakeholders along the
16 way.

17 The rule is based upon the long-standing federal
18 State partnership under the federal Clean Air Act, and
19 specifically on Section 111 of the Act. That's 42 USC
20 7411 for those of you following along in the code books,
21 and reflects the structure that has already been so
22 successful for criteria pollutant.

23 It establishes federal standards for existing
24 power plants while relying on the states to apply their
25 innovative approaches to meet those standards based on the

1 unique circumstances in each state. There is also very
2 significant -- the U.S. EPA projects a 32 percent
3 reduction in CO₂ from the covered units by 2030 from 2005
4 levels. And that is reflected not only in estimated \$45
5 billion in net climate and public health benefits
6 monetized, but it as many as 3,600 avoided premature
7 deaths, tens of thousands avoided cases of asthma,
8 hundreds of thousands of days where folks who might have
9 been too sick to go to work can now go, as a result of
10 moving away from more polluting sources of power and
11 toward cleaner energy.

12 --o0o--

13 SENIOR ATTORNEY SEGALL: So how was this plan
14 devised? It relies on the Clean Air Act's direction to
15 set ambitious but achievable standards consistent with the
16 best system of emission reduction that has been achieved
17 and adequately demonstrated by the State's and by
18 industry.

19 In setting that standard here, U.S. EPA focused
20 on the unique and important characteristics of the power
21 sector, the only sector in which each source is linked
22 together in a national power grid, meaning that asking the
23 question, how can existing power plants and especially the
24 most inefficient and most polluting of those plants to
25 reduce their emissions requires a look at how the grid can

1 support those reductions.

2 Accordingly, U.S. EPA based its standards on
3 three critical building blocks. It looked first to the
4 ability of plant engineers and owners and operators to
5 make heat rate improvements, efficiency improvements in
6 the boilers in those units.

7 Second, it asked what are the options, what are
8 the possibilities for substituting lower emitting fossil
9 sources for higher emitting fossil sources. There's
10 significant, for instance, natural gas resources in many
11 parts of the country that are underused relative to coal
12 fired power plants. EPA took that into account.

13 Finally, U.S. EPA observed that the utilities and
14 owner/operators of the grid have options to expand on
15 their use of renewable zero emissions energy to replace
16 fossil power entirely, and added that as their third
17 building block.

18 They then considered the effects of these
19 building blocks across the grid taking the most
20 conservative values for each of the three national grid
21 connections to build a system of uniform emission rates in
22 2030 for existing coal-fired and gas units that reflects
23 the ability of owners and operators working with the
24 states to use the flexibilities of the grid to reduce
25 those emissions.

1 It's important to emphasize that these building
2 blocks are indicative, not prescriptive. The states have
3 a wide range of flexibility as to how they can comply with
4 the plan. These are merely how the targets were
5 calculated.

6 --o0o--

7 SENIOR ATTORNEY SEGALL: So what does this mean
8 for California? Well, the news, in short, is good largely
9 as a result of the efforts we've already undertaken. And
10 by we here, I mean not simply ARB, but the State as a
11 whole. We've been working with our energy agency partners
12 throughout on this plan, and their efforts to in terms of
13 the renewable power efforts we've led, and the energy
14 efficiency programs they put into place have put
15 California in the an extraordinarily good position to
16 comply with the Clean Power Plan. So good, in fact, that
17 U.S. EPA estimates that our mass target -- and I should
18 say targets are expressed in both mass and rate, but mass
19 I think is more straightforward to deal with for this
20 comparison.

21 It's roughly 48.4 million short tons of CO₂ in
22 2030. Well, U.S. EPA estimated that our covered units
23 were emitting 46 million short tons of CO₂ in 2012. So if
24 what you're thinking is that the federal cap looks more
25 like a ceiling, you're right. What we're being asked to

1 do is continue our successful efforts, yes, as the economy
2 grows and de-carbonizes, but we're already essentially
3 implementing the best system of emission reduction here in
4 California.

5 I should note that these mass limits are
6 illustrative. They depend on the covered units, and we're
7 working with those unit owner/operators to finalize the
8 list. So these may shift slightly, but not very much. We
9 have about 210 affected units so far, about 36,000
10 megawatts of capacity. I should note those are units, in
11 other words, individual boilers, not power plants.

12 So there's a slightly smaller number of plants.
13 Those units are divided, much as you would think they
14 would be between our population centers and the valley,
15 the San Joaquin Valley where folks are generating
16 significant amounts of power.

17 One of the implications of that is that as the
18 Clean Power Plan and other power sector measures go into
19 force through to 2030, we'll see reductions not just in
20 greenhouse gases, but in criteria pollutants in many areas
21 of the State that are already wrestling with significant
22 attainment issues.

23 --o0o--

24 SENIOR ATTORNEY SEGALL: So when are we
25 delivering?

1 Well, U.S. EPA has set us several deadlines, the
2 first of which is an ambitious one. State plans are due
3 September 6th, 2016. However, that is a soft deadline.
4 We have -- it is possible to take an optional extension to
5 as long as 2018 provided we make an initial submission,
6 which essentially a short letter describing our progress
7 to date in 2016.

8 That said, our intention at this point is to move
9 forward as expeditiously as we can. There's value in
10 California being a leader on this issue, and there's value
11 in presenting our stakeholders with a unified post-2020
12 program of which federal compliance is a part.

13 Once we have put the plan in place, compliance
14 occurs in a glide path, beginning with an interim target
15 starting in '22 -- 2022, and moving forward with a series
16 of compliance periods to 2030. After that, the stringency
17 must be maintained.

18 --o0o--

19 SENIOR ATTORNEY SEGALL: So what have we done so
20 far?

21 One of the major efforts across the State agency
22 family has been involved in developing the CPP. We have
23 spent the last several years engaged in U.S. EPA's truly
24 extraordinary public process, bringing in states from
25 across the country to ensure that the final rule was

1 implementable and strong.

2 And we saw notable strengths as a result of our
3 efforts. We saw more State plan options, and we actually
4 saw an increase in the ambition of rule from proposed rule
5 to final, at the same time, as flexibilities to achieve
6 that ambition were increased.

7 That work has been done by an interagency work
8 group within ARB, the PUC, and the Energy Commission.
9 We've also be consulting closely with the independent
10 system operator, and many of our stakeholders and
11 reliability entities, and we'll continue to do so.

12 We are coordinating this work, of course, with
13 the other post-2020 processes you're hearing about today.
14 And we've already begun to put ideas to paper and seek
15 stakeholder feedback. We held our first workshop October
16 2nd, putting out a white paper with that and soliciting
17 comments.

18 I'm sure you'll hear from folks today, but our
19 stakeholders so far have been proudly supportive of the
20 ideas that we'll be presenting, raising some important
21 issues regarding our timing and our relationship to the
22 larger western region as it develops its own progress.

23 We've also reached out to all the covered power
24 plants to test whether or not they're properly covered by
25 the plan. And finally, with Attorney General Harris and

1 Governor Brown, we are standing up in the D.C. Circuit
2 Court of Appeals to defend U.S. EPA with a large coalition
3 of other states and entities. It's worth noting that
4 California companies are also involved in that litigation,
5 including PG&E and Calpine, which have intervened to
6 support the Clean Power Plan, and we greatly appreciate
7 that.

8 It's also worth noting that although some of our
9 other utilities have not yet intervened, they have issued
10 support statements and have been very involved in this
11 process. So we've seen good support across the California
12 community for finding a way forward in power plant
13 emissions.

14 --o0o--

15 SENIOR ATTORNEY SEGALL: So what questions do we
16 face?

17 The first and most critical of the questions is
18 what our compliance plan should look like. We have
19 several options. Because U.S. EPA has expressed its
20 targets in terms of rate or mass, and allowed them to be
21 applied at various levels, in principle we have available
22 to us plans that could set a rate limit, either each plant
23 or statewide, a plan that could set a mass limit plant by
24 plant or statewide. We could include trading in those
25 plants.

1 And critically, we have the option to use plans
2 based on State measures which I'll discuss in detail,
3 because we see it as one of the strong options for our
4 compliance. In essence, that is the option of using
5 existing programs that sweep more broadly than just the
6 limited universe of power plants covered by U.S. EPA, and
7 thereby build on economy-wide or other programs while
8 integrating federal compliance.

9 --o0o--

10 SENIOR ATTORNEY SEGALL: These State measures
11 plans, which we are probably investigating most closely --
12 although, I should emphasize, of course, that at this
13 early stage all options need to be on the table, and we'll
14 be considering them with stakeholders -- are, we think, a
15 program and plan particularly well designed for our
16 efforts. U.S. EPA indicates in the final rule that these
17 are programs intended explicitly for states with
18 economy-wide programs that include affected electric
19 generating units, EGUs, but are not limited to them.

20 In other words, they work with states that are
21 looking for reductions, including but beyond the power
22 sector. To use such a plan, a state would identify state
23 measures, state enforceable rules that will collectively
24 achieve the emissions targets. They can include a
25 federally enforceable component, to the extent they apply

1 to power plants, but need not do so. So flexibility at
2 the front end to use what we've already built.

3 On the back end, to ensure that what we deliver
4 does in fact deliver, U.S. EPA requires us to put a
5 federally enforceable automatic backstop into place. And
6 it's just what it sounds like, a true-up mechanism, so
7 that if we get off track on the road to 2030, the covered
8 units must come into force with the federal emissions
9 requirements.

10 We think it is very unlikely, for reasons that
11 we'll discuss in a bit, that that backstop will be used,
12 but it's an important tool for accountability, both here
13 and in other states that may use it.

14 --o0o--

15 SENIOR ATTORNEY SEGALL: What measures might we
16 use?

17 Well, reducing a power sector emissions has been
18 an across-the-board effort, of course, as I noted, across
19 the energy agencies and ARB. But the Cap-and-Trade
20 Program presents unique strengths as an integrating
21 measure for this effort as well. Because the
22 Cap-and-Trade Regulation necessarily reflects the
23 operation of complementary programs both in terms of cap
24 setting and in terms of market prices, it is a way of
25 integrating all these other efforts while focusing

1 directly on the covered units and delivering
2 accountability and a clear carbon price to the entities
3 that are ultimately responsible to U.S. EPA and to us.

4 We therefore investigate it most closely. There
5 are further reasons for this, including that in the final
6 plan, U.S. EPA itself emphasized that trading would be an
7 especially attractive options for many states. This is,
8 in other words, a strong opportunity to turn -- go from
9 our program as a national model to our program as an
10 important part of a national system rooted in carbon
11 pricing and appropriate training.

12 What would we have to do to manage that? Well,
13 first, we would need to consider how to appropriately
14 bring in parts of our regulation, although not all of it,
15 into federal enforceability for covered units, a matter in
16 which we're working with the air districts to ensure that
17 permitting workload and enforceability work well on that
18 issue. We'll also need to include a backstop for a
19 true-up, as I've mentioned.

20 --oOo--

21 SENIOR ATTORNEY SEGALL: That means that as we
22 continue this integrated effort moving forward, we'll be
23 reviewing what regulatory steps need to be taken should we
24 pursue this approach to integrate clean power plan
25 compliance into the cap-and-trade regulation, and into the

1 regulation for the mandatory reporting of greenhouse
2 gases.

3 In brief, these issues are largely logistical.
4 We need to consider how best to align timing and
5 compliance period requirements to ensure that we can
6 report on an appropriate schedule reflecting both the
7 needs of our market, our linked partners, and the federal
8 program, and ensure that all the data we need to collect
9 is being collected with appropriate enforceability and
10 transparency.

11 We also, again, will need to ensure that there's
12 a clearer backstop sub-routine that will kick in should we
13 need it.

14 --o0o--

15 SENIOR ATTORNEY SEGALL: But as our analysis
16 strongly suggests and which we'll be sharing more over the
17 coming months, it is very unlikely that we will have any
18 trouble complying with those federal targets. Again,
19 because the federal targets reflect our success to date,
20 staying the course is a good way to meet them. We are
21 working with our partners in the Energy Commission and the
22 Public Utility Commission to conduct analysis
23 demonstrating this across a wide range of policy
24 scenarios, looking both at business as usual, at stress
25 cases, testing, for instance, whether under drought

1 conditions, there was loss of lower energy capacity we'd
2 have -- or lower emitting capacity, we'd have problems,
3 and beginning to think through policy cases that are
4 appropriate to test as well.

5 Now, the Energy Commission has been working with
6 us with their production cost model tool, essentially a
7 way modeling the performance of the power fleet to test
8 these emissions. And we'll be working with all of our
9 stakeholders going forward to make sure that the scenarios
10 we test are realistic and robust to a range of conditions.

11 --o0o--

12 SENIOR ATTORNEY SEGALL: There are important
13 conversations that have to take place even as we design
14 the plan. One of the most important is with the
15 environmental justice community. Environmental justice
16 is, in many ways, a priority for the Agency, of course.
17 And it's one that we pressed for as U.S. EPA moved from
18 its proposed Clean Power Plan to its final plan.

19 The final Clean Power Plan, in part, as result of
20 suggestions from us and from various advocacy groups,
21 contains an explicit requirement that every State develop
22 the Clean Power Plan must meaningfully engage with
23 vulnerable communities ensuring that those folks have a
24 clear voice in the nation's energy and climate future.

25 We, of course, embrace that opportunity, and will

1 be working with a range of potential issues, and with our
2 Environmental Justice Advisory Committee, and the best
3 ways to reach out procedurally and ask to ensure
4 substantively how this program works for those
5 communities.

6 I'd note, as I think will also be noted later,
7 that the adaptive management program is likely to play a
8 role in that conversation, especially as we move forward
9 with the State measures based program on the cap-and-trade
10 system. It is a small feather in our cap that in the
11 Clean Power Plan's final rule U.S. EPA identified that the
12 adaptive management program is a national model that
13 should be investigated by other states as well.

14 Finally, I should note one other opportunity that
15 we'll be exploring for and with these communities, U.S.
16 EPA has proposed a clean energy incentives program,
17 essentially a way of transferring various federal Clean
18 Power Plan compliance instruments to favor investments in
19 clean energy, both energy efficiency and renewable energy
20 in disadvantaged communities.

21 That program is relatively small in size, but, of
22 course, it's important. It would be applicable for
23 investments in projects operated in the 2020 to 2022
24 period. Thus far, details in that program are still being
25 developed. So to participate at all, U.S. EPA asks only

1 of us that we provide a nonbinding statement of interest
2 in it by the end of 2016.

3 Our view at the staff level is that there's no
4 reason not to be nonbindingly interested in something at
5 this point, especially something that could provide these
6 benefits.

7 --o0o--

8 SENIOR ATTORNEY SEGALL: The other consultation
9 that is of considerable importance is on electrical system
10 reliability. As I've indicated earlier, because of the
11 nature of the California target, we don't expect the Clean
12 Power Plant on its own to change reliability
13 considerations very much in the State, but we aren't
14 taking that on faith.

15 We already meet regularly with both federal and
16 State reliability regulators and balancing authorities
17 from FERC to the CAISO to the various public power
18 entities, and we're continuing to do that with this as
19 part of the conversation.

20 Indeed, we've already convened working groups of
21 all the State level balancing authorities and briefed them
22 on these issues, so they're engaged already.

23 As part of that consultation, ultimately we'll
24 demonstrate not only that we consulted, but that
25 reliability has been fully considered, including any

1 additional analyses that might be necessary upon further
2 conversations with those folks.

3 --o0o--

4 SENIOR ATTORNEY SEGALL: The last issues that I
5 want to highlight in depth are regional issues. As I
6 indicated at the beginning, the Clean Power Plan in many
7 ways is a chance for other states to take lessons learned
8 in our system and in other similarly progressive
9 jurisdictions and apply them to serious pollution problems
10 across the west. And that very much is happening. We're
11 already seeing a significant conversation amongst all our
12 western states as to how they will comply and the right
13 path forward.

14 Parts of those conversations have focused on
15 whether or not it is possible for us to trade with those
16 entities throughout our market or through some sort of
17 federal system, and how we may handle imported power,
18 which currently carries a compliance obligation in our
19 State system from plants that are regulated under the
20 Clean Power Plan. And I've seen that in stakeholder
21 comments and are taking those issues seriously.

22 We'll be exploring them with an eye to the
23 important policy and legal safeguards that we have within
24 our system already and within the federal system. AB 32's
25 emphasize on accounting for all the power consumed in

1 California, and ensuring that the carbon price associated
2 with it is accurate, the emphasis on avoiding emissions
3 leakage from our system and resource shuffling, and
4 requirements to ensure that if markets are linked they're
5 linked with considerable stringency and integrity.

6 The federal system also provides important sign
7 posts both setting up accounting systems that could be
8 used for linkage under important -- under appropriate
9 circumstances, and beginning to lay out the sorts of
10 demonstrations we'd need to make sure those connections
11 are effective.

12 --o0o--

13 SENIOR ATTORNEY SEGALL: Thus far, whether or not
14 we pursue direct linkage and simply look to coordination
15 and other options, it is clear that many states in the
16 west are exploring their own trading systems. And this I
17 think is really positive news.

18 If one reads only the newspapers or the court
19 filings, you might think that this was a highly
20 controversial program that is monolithically opposed by
21 some states, but that just isn't the case. To my
22 knowledge, every State in the west is at least beginning
23 to explore serious compliance planning, even as some also
24 litigate issues of importance to them. And the compliance
25 program that thus far has been the most talked about at

1 those western state meetings has been a mass based trading
2 ready plan, in other words, programs that resemble an
3 important regards to systems that we have pioneered.

4 This is true not just in the west, but in regions
5 across the country, meaning the Clean Power Plan is, it
6 appears, serving its intended purpose of bringing together
7 environmental and energy regulators to pursue ways to
8 clean the system efficiently and effectively.

9 We'll be tracking these trends carefully
10 considering how they bear on our own plans. We'll also be
11 tracking related trends in the power market, including
12 efforts to expand the California Independent System
13 Operator, which is now looking at joining the PacifiCorp
14 system as well, and other efforts that would begin to
15 integrate power procurement and dispatch across the west.

16 Those conversations are all ongoing, but I think
17 are truly exciting seeing so many states reengage and go
18 deep on these issues.

19 --o0o--

20 SENIOR ATTORNEY SEGALL: One last substantive
21 note, U.S. EPA has also proposed federal and model plans
22 for states that either do not want to develop their own
23 plan or that want to guide as to how to plan. Many of
24 these plans contain market based elements, an area in
25 which we can offer considerable expertise.

1 I'm please to say that the climate change program
2 branch, among others, are looking carefully at those plans
3 to offer what comments we can to ensure that they're
4 strong, effective, and if implemented would relate in
5 sensible ways to the systems we're operating. Those
6 comments are due in January. We'll be vetting them with
7 stakeholders and trying to provide what help we can to the
8 federal regulators as they move toward finalization.

9 --o0o--

10 SENIOR ATTORNEY SEGALL: Schedule finally. The
11 schedule is an ambitious one to get to the current date.
12 We are looking at workshops throughout winter and spring
13 in a coordinated way -- ah, there we are -- with our
14 stakeholders and with the other post-2020 processes. If
15 we stay on track throughout those processes, we hope to be
16 back before you all in June discussing a draft plan, and
17 submit either an initial submission or a draft plan, if we
18 make it a bit further, to U.S. EPA by the September 2016
19 deadline.

20 And I should say, EPA Region 9 has been very
21 helpful throughout this process. They've been happy to
22 answer our questions and to learn with us as we think
23 through the right way to integrate these systems. That's
24 been a very positive conversation.

25 On that timetable we'll be finalizing the plan in

1 2017 and moving forward toward compliance.

2 --o0o--

3 SENIOR ATTORNEY SEGALL: So our next steps are
4 essentially as I've indicated. We're in a good position.
5 The final Clean Power Plan reflects what we need to
6 integrate our system in the federal system. It puts the
7 nation on a path towards significant reductions. To best
8 utilize it, we'll be building now conversations around
9 plan design, ensuring that we have the right data and
10 right affected units, working with the EJ community and
11 with electrical reliability regulators to attend to
12 important considerations, work to improve and strengthen
13 the existing proposed federal plans, and continuing to
14 participate in the ongoing regional and national
15 conversations around how this initiative can go from the
16 federal guidelines that it is, into a fully implemented
17 and working system.

18 That concludes the present. Thank you for any
19 questions.

20 CHAIR NICHOLS: Thank you, Craig.

21 Questions anybody?

22 Yes. Dr. Balmes.

23 BOARD MEMBER BALMES: Well, thanks, Craig, for
24 really an excellent overview. And I noticed you weren't
25 reading. So that was especially appreciated after lunch.

1 (Laughter.)

2 SENIOR ATTORNEY SEGALL: Yeah, carbohydrate comas
3 are a problem for me too.

4 BOARD MEMBER BALMES: I just wanted a comment
5 from someone on the staff or Mary about the way the
6 current litigation would impact the Clean Power Plan. I
7 realize that half the states are -- have lined up against
8 EPA's proposal. I guess the other half of the states are
9 supporting it. But just -- could we just have like an
10 overview of where we stand as far as litigation?

11 SENIOR ATTORNEY SEGALL: Sure. So states
12 litigating this issue are, I believe, 0 for 3 so far.
13 There were several premature cases filed that were thrown
14 out of various courts. The litigation in earnest was
15 joined, as you've noted, by about half the states in the
16 D.C. Circuit in October, but the other half, along with
17 many communities and companies have intervened on the
18 other side.

19 The first step in that litigation is a stay
20 motion. Several of the litigants have moved the court to
21 stay to be -- throw on hold essentially through the
22 litigation. That's a disfavored extraordinary motion. To
23 win it, they'd have to show irreparable harm simply from
24 the existence of rule, seven years before plans go into
25 effect and several years before plans are due. As a

1 result, most of their claims of harm have to do with
2 owner's duty to think about these things.

3 It is possible, of course, that the motion will
4 be granted. I think it is not -- I think it's without
5 merit. We'll find out what the court thinks sometime in
6 early spring of next year. From there, a merit's ruling
7 will proceed probably sometime in later 2016. It seems
8 not impossible that this would be appealed to the Supreme
9 Court no matter how that court rules, which will be
10 another year or so of litigation.

11 CHAIR NICHOLS: And I think there's been quite a
12 bit of press coverage recently to the effect that even in
13 states where the attorney general is suing EPA, that the
14 agencies and the governor are actually moving to develop
15 plans. So the farther down the road -- and, of course,
16 this is what's so frustrating I know to the opponents, but
17 as states begin to actually work with the rule and
18 discover ways that they can comply with it, then the
19 urgency of their case dissipates.

20 So in that sense, I think time is on our side on
21 EPA's side, but I really want to make sure that the Board
22 understands that we have been very active, working not
23 just with EPA and back and forth communicating about how
24 to make this rule strong. EPA did a -- I think a really
25 remarkably good job of listening and outreaching. I've

1 never seen top level EPA people out as actively as they
2 have been on this rule trying to make sure that they had
3 talked to everybody that they needed to talk to.

4 And one of the things that that led to was a
5 sense I think on the part of the electrical utilities that
6 EPA was serious, and that there could be benefits to them
7 from having a national rule. Generally speaking, they
8 would much prefer to have a level playing field to operate
9 on nationally than to take their chances state by state.

10 So while there's still plenty of critics and
11 opponents out there, I think, in general, there's been
12 quite a gratifying amount of acceptance that this rule can
13 work and that people can live with it. But, of course,
14 the plans aren't done yet, and there's a lot of detail
15 that goes into actually producing a good plan.

16 One of the things that I think California has
17 been good at, and we're not always good at this, is
18 figuring out how to be good regional players, so that, you
19 know, as the big dogs in the western electricity market,
20 and the ones that buy from other people, we have been very
21 quietly, but I think persuasively, talking to many of our
22 neighboring states about why it's in their interest to
23 work on a regional plan, or at least a regional approach,
24 even if people aren't ready to, you know, all sign up to
25 be part of our market or to, you know, be part of our

1 Cap-and-Trade Program. They can at least begin to see the
2 benefits of this kind of program.

3 And so one of the first things that happened that
4 I think has been helpful is that a number of the states
5 with Republican governors said, well, if we've got to do
6 something about climate, we want it to be a market based
7 program. And then that led them to thinking about going
8 with a mass based approach, rather than a rate based
9 approach, which is really essential if you're going to
10 have an ability to trade units across jurisdictional
11 lines.

12 And so each one of these building blocks sort of
13 comes into place and people start to think about it. And
14 it's just -- it's sort of been gratifying to meet to see
15 the extent to which the logic that impelled us to the
16 position that we took has applicability in other places as
17 well, you know, that other people have seen it and said,
18 yeah, we think that probably is the right way to do a
19 plan.

20 So, I mean, for some states, of course, there's
21 very little that they have to do, and for other states
22 there's a lot. And for those who are heavily reliant on
23 coal, the idea that they could help -- be helped by us to
24 pay for cleaning up their system or complying with this
25 rule is beginning to seem more attractive. So it's

1 just -- it's been a very healthy conversation, I think,
2 and our folks have been very active on this front. So
3 it's been -- it's been a good process overall.

4 Any other questions, comments?

5 I don't think so. Thanks very much.

6 CHAIR NICHOLS: Good work.

7 Yes.

8 CHIEF COUNSEL PETER: We comments.

9 CHAIR NICHOLS: Oh, sorry, we have two witness.
10 Pardon me. Yes, we have -- we are lucky today that U.S.
11 -- the University of -- let say this again, Union of
12 Concerned Scientists and NRDC have both decided to spend
13 the day with us. So we'll start with UCS, Jason Barbose.
14 Sorry, I couldn't get the words out. Thanks.

15 MR. BARBOSE: No problem. It's post-lunch for
16 all of us. Yes. Jason Barbose with Union of Concerned
17 Scientists.

18 And just a couple thoughts. I mean, one is the
19 fact that it will be so easy for California to comply with
20 the requirements of this regulation is obviously a
21 testament to the progress we've already made reducing
22 greenhouse gas emissions from the electricity sector, both
23 from a Cap-and-Trade Program and a renewables portfolio
24 standard program and others.

25 A few just sort of thoughts loosely tied

1 together. One is that we tend to support the state
2 measures plan that was discussed based on the
3 Cap-and-Trade Regulation and supported as well by the
4 State's energy efficiency and RPS programs.

5 Related to issues of collaboration and linkage
6 with other states, we do recognize that there's a lot of
7 important details there. And, you know, Craig called out
8 a few of them issued round imported power, around
9 emissions leakage, resource shuffling. One issue to just
10 put a pin in today is that we feel it's important that ARB
11 make sure there's a robust carbon accounting for imported
12 power on a real-time basis as much as possible. And
13 that's probably an area for some work.

14 Another thought was just that implementation of
15 the Clean Power Plan should not create disincentives for
16 electric utilities in California to promote vehicle
17 electrification. I'm not sure that that will be an issue,
18 but I just want to -- I think it's something that we
19 should do due diligence on.

20 And then the last thought is just around the
21 environmental justice pieces. Appreciative of ARB's work
22 advocating for the inclusion of those elements in the
23 rule. It was something that our organization advocated
24 for as well, and appreciate your work seeing that they're
25 effectively followed and implemented as well.

1 So look forward to working with you over the next
2 few months.

3 CHAIR NICHOLS: Thank you. I know UCS has also
4 been working hard on this at the national level.

5 Alex.

6 MR. JACKSON: Good afternoon, Chair Nichols and
7 members of the Board. Rounding out the theme of my
8 comments today, I find myself in vigorous agreement with
9 the direction of the staff presentation on a number of the
10 key issues. But adhering to Chair Nichols' admonition at
11 the top of the program, we will be developing much more
12 comprehensive written comments. I'll simply summarize a
13 few points that we think warrant additional attention or
14 support today.

15 First, just on the basic framework and structure
16 of the plan, I think the State measures approach is really
17 tailor-made for California, recognizing just the different
18 scope of our program, including different sectors and
19 including territories even beyond the United States with
20 Quebec and hopeful Ontario soon.

21 While it does require staff to develop a policy
22 backstop in the event the emissions from the power sector
23 exceed the EPA requirements targets, I think that's at
24 such a low probability that it shouldn't deter us from
25 moving through that with a State measures approach. And

1 there's opportunities, including potentially with using
2 credits available through the Clean Energy Incentive
3 Program allowing those to be available for purchase to
4 meet that backstop requirement that needn't go us down a
5 rabbit hole of a very thorny policy and design issues.

6 I would also echo the encouragement to move
7 early. I think California really does have an opportunity
8 to leverage our size, our clout, our buying power to
9 influence the design of the mass based trading ready plans
10 that a lot of the states in the west seem to be moving
11 towards.

12 And while, you know, additional time has its
13 upside. I think we've largely figured out a lot of the
14 issues that other states are starting with from scratch.
15 And if we could move forward, we might be able to exert
16 some additional influence to get important design details
17 right like from our perspective including new sources
18 within the mass based cap, so we're not simply leaking
19 generation to those sources that are not subject to an
20 absolute limit on emissions.

21 And finally, we are supportive of ARB looking at
22 developing a trading ready platform. You know, we want to
23 encourage enabling other states to have more cost
24 effective pathways to be part of this rule. We do think
25 that that could help align this program better to

1 accommodate the expansion of the California Independent
2 System Operator in recognizing that our power mix is
3 not -- doesn't stop at our State borders, but subject to
4 some important considerations and limitations.

5 And I think, first and foremost, that our
6 allowance budgets should be set based on our own ambition,
7 and meeting our own State level targets. And that under a
8 State measures approach that would mean we only issue
9 cap-and-trade allowances up to our cap-and-trade budgets
10 which would hopefully be set to meet our 2030 Executive
11 Order and beyond, and avoid having a huge excess where
12 we're simply trading away our surplus to other states and
13 not achieving any net emission reductions.

14 And second, recognizing -- if I can have just
15 five more seconds.

16 CHAIR NICHOLS: You may finish up.

17 MR. JACKSON: The implications that AB 32
18 requires ARB to put a compliance requirement on imports
19 again in the spirit of addressing leakage. With states
20 that don't end up under trading ready platform with
21 California that still import power to California, one
22 thought potentially would be to look at the differential
23 between the target stringencies between California's
24 program and that program, and simply assign a compliance
25 requirement on that import to recognize that delta. One

1 option to consider. Again, we will go further into these
2 in our written comments. But thanks to staff and the
3 Board for your leadership on this issue.

4 CHAIR NICHOLS: Thanks. Those are both good
5 reminders. We're not going into the business of
6 generating credits to sell, that's for sure. I don't
7 think that's -- I don't think we ever have had that
8 intention, but it's important that people understand that
9 we do have to comply with our own regulations before we
10 start figuring out what to do for the entire west. And we
11 really appreciate the support and leadership of both of
12 these organizations who have been very active, again not
13 just here in California but nationally, in trying to move
14 the United States towards a real climate program. So it's
15 an exciting time.

16 Okay. I believe that is it for this item.

17 And then we can move to our final item, which is
18 also cap-and-trade related, but this time looking at the
19 issue of what we know about and what we need to know about
20 and what we will do with the plan if we find that there
21 are implications that have localized -- create localized
22 air quality problems. This has been something that we've
23 been concerned about from the very beginning when the
24 program first began to be developed. We heard a lot of
25 concern from many advocates at the local level about the

1 potential that the Cap-and-Trade Program could lead to
2 distortions in the way that electricity generators operate
3 their systems, and others, that could have negative
4 impacts in communities that already are overburdened with
5 air pollution.

6 But before we hear an update on how we're doing
7 with the adaptive management plan, I am unfortunately --
8 am going to have to say a few words about the person who's
9 going to be presenting this to us today, or one of the
10 people. Mike Tollstrup, who before I say anything nice
11 about him, I have to say --

12 (Laughter.)

13 CHAIR NICHOLS: I have to say that I'm really
14 disappointed that I have to read this statement.

15 (Laughter.)

16 CHAIR NICHOLS: So -- but I will anyway.

17 So Mike Tollstrup has had a long and very
18 distinguished -- rich and diverse career in air pollution
19 first beginning in the San Joaquin Valley Air District for
20 10 years and then at the Air Resources Board for the last
21 26 years.

22 I can personally attest to the fact that he
23 hasn't ever really left the valley, because he still
24 drives a truck to work.

25 (Laughter.)

1 CHAIR NICHOLS: It's one of the few pick-up
2 trucks you're going to see in the garage across the street
3 from ARB.

4 Mike has, in his time with us, led a variety of
5 groundbreaking and important diesel regulatory programs
6 including the drayage truck rule and the portable
7 equipment rule. Building on the relationships that he's
8 developed with districts, Mike has been a critical part of
9 ARB's collaboration with the districts and the California
10 Air Pollution Control Officers Association working on new
11 source review programs, deployment of best available
12 control technologies, and emissions reduction credits.

13 And he's been a leader for ARB in the energy
14 sector as well. I have seen him at work in a number of
15 these forum, and I can personally attest to the fact that
16 he has a really wonderful way of just making his points
17 without getting other people's hackles up and generally
18 helping to establish ARB as a player in ways that have
19 been very beneficial to us in many different contentious
20 situations.

21 So he's also served as the co-chair of the
22 Stationary Fuel Cell Collaborative, which is one of those
23 efforts that kind of quietly has moved along for a long
24 time, but has become a really important place in which
25 work has occurred, which has led to the status of fuel

1 cells, both stationary and mobile, as viable energy
2 sources we were hearing earlier this morning.

3 So he was with us earlier this year when we had
4 the scoping plan update. And in all of these different
5 roles, he's amassed an incredible amount of knowledge and
6 information in all the policy areas that we work on, but
7 he seems to have decided to retire. I don't understand
8 why.

9 (Laughter.)

10 CHAIR NICHOLS: And he's probably not eligible.
11 I don't think he's really old enough yet. We need to
12 check the records here, but I think the word is in that
13 he's going to do this.

14 So we are assured by his division management and
15 the Executive Office that they've tried everything that
16 they could think of to get him to reconsider, and that
17 he's sticking to his retirement plans.

18 So, Mike, on behalf of the Board, I just really
19 want to thank you for an amazing career, and to wish you
20 the best in your well deserved retirement.

21 (Applause.)

22 CHAIR NICHOLS: Now, he's --

23 BOARD MEMBER GIOIA: Madam Chair, can I make a
24 comment?

25 BOARD MEMBER BALMES: He's turning red.

1 CHAIR NICHOLS: I know.

2 BOARD MEMBER GIOIA: Can I make a comment?

3 Over here. So I had a chance to listen to Mike,
4 Floyd their whole team at an adaptive management workshop
5 over in Contra Costa county, actually in my district. It
6 was their Bay Area workshop. And I have to say, I was --
7 you know, and I don't say this lightly, I was very
8 impressed with their -- not just their presentation, but
9 the interaction with a public that often is very skeptical
10 about cap-and-trade. And these were many advocates from
11 organizations who are -- follow the issue of refinery
12 emissions.

13 It was a very knowledgeable group, and there was
14 a lot of discussion. And I want to say the whole team did
15 a great job. And I want to acknowledge all of you
16 publicly, because it was really well done. You weren't
17 defensive. And, Floyd, you know, you responded to a few
18 things in ways to put people, I think, at ease and develop
19 trust, and, Michael, the whole team.

20 So I just wanted to acknowledge that, and just
21 want to thank you, because I was truly impressed with
22 that. And I know many of the folks that were there, I
23 know how tough they can be on government agencies, but I
24 thought it was really positive.

25 CHAIR NICHOLS: All right. Thank you for that

1 validation. That's great.

2 I sometimes wonder if maybe, you know, they have
3 hearing aids that they just turn off during meetings -- at
4 critical points during meetings. Sometimes I think that
5 might be the best way to get through some of these
6 sessions.

7 But all joking aside, the Cap-and-Trade Program
8 has concluded its first compliance period. And as you've
9 heard before, one of the concerns that we had was that
10 there could be disproportionate impacts. So although
11 before we adopted it, we had done prospective analysis
12 that convinced us that this was highly unlikely.
13 Nevertheless, we made the commitment to monitor emissions
14 in the real world from cap-and-trade covered facilities,
15 and to take action if we found any unanticipated adverse
16 impacts that could be attributed to the implementation of
17 the program.

18 So we adopted, at the time, an adaptive
19 management plan. Now, as we're looking at extending
20 cap-and-trade beyond 2020, and looking at the plan that we
21 adopted -- looking back at the plan that we did adopt, we
22 need to ensure that we, in fact, have met the standards
23 that we set for ourselves.

24 So this has been an issue where ARB needed to
25 work very closely with the local districts, because they

1 are the permitting authorities, the ones that directly
2 regulate the facilities that we're talking about. So this
3 was ARB coming in really on their turf with this new
4 Cap-and-Trade Program.

5 And so they were major stakeholders as well as
6 the public and citizen groups. And they have been working
7 together to develop a process for annual emissions review
8 looking at the key cap-and-trade facilities around the
9 State, and then to identify potential adverse impacts.

10 And again, I think part of the challenge here is
11 that these facilities are not just located in one air
12 district. They're spread out across the state, and so
13 you've got issues about differential requirements and
14 processes in our various different air districts.

15 So it has been a complicated -- a complicated
16 program to implement, but it's time that we caught up with
17 what's been going on. So, Mr. Corey, would you please
18 introduce this item?

19 EXECUTIVE OFFICER COREY: Yes. Thanks, Chair.
20 And I also actually wanted to acknowledge Mike for his
21 contribution to ARB, and also his friendship. He's been a
22 great friend for a long time, and one unscripted comment.
23 You were commenting about the work he's done with the air
24 districts. This illustrates the kind of guy that Mike is.
25 Years ago we talked our need to continue to build our

1 relationships with the air districts and strengthen that
2 relationship, Mike goes the extra mile and he marries
3 Bridgette who's with Sacramento Air District. I'm telling
4 you.

5 (Laughter.)

6 CHAIR NICHOLS: That is definitely -- it's not a
7 requirement, but it's --

8 (Laughter.)

9 EXECUTIVE OFFICER COREY: Very impressive. Very
10 impressive.

11 All right. Let's get back to the issue at hand.
12 For this last item, staff is providing an update on the
13 Cap-and-Trade adaptive management plan as noted. And
14 you'll recall the potential for disproportionate localized
15 air quality impacts were identified as an area of concern
16 in the original Cap-and-Trade rule-making in 2011.

17 In response to the concerns raised, staff
18 repaired and the Board approved an adaptive management
19 plan to closely monitor for localized air quality impacts
20 from the implementation of the Cap-and-Trade Program.

21 The Board further directed staff to work with the
22 air districts on the implementation of the adaptive
23 management plan. So in the presentation staff is
24 providing and update on the adaptive management process,
25 including suggested improvements to the process which were

1 developed in collaboration with the air districts,
2 community groups, and other interested stakeholders.

3 The draft process would track emissions, identify
4 potential adverse impacts, and make recommendations for
5 addressing any additional adverse impacts identified.

6 Staff is proposing to evaluate emissions annually
7 from the cap-and-trade facilities located in California.
8 And if potential adverse impacts are identified, staff
9 would work with stakeholders, the air districts, and
10 others to develop recommended responses and present those
11 recommendations to the Board.

12 I'll now ask Johnnie Raymond to begin the staff
13 presentation.

14 Johnnie.

15 (Thereupon an overhead presentation was
16 Presented as follows.)

17 STAFF AIR POLLUTION SPECIALIST RAYMOND: Good
18 afternoon, Chair Nichols, Vice Chair Berg and members of
19 the Board. Thank you for the opportunity to update you on
20 our progress in further developing a Cap-and-Trade
21 Adaptive Management Program.

22 We are developing this process as a formal
23 mechanism for identifying, tracking, and responding to any
24 changes in emission trends that may occur under the
25 implementation of the Cap-and-Trade Regulation.

1 --o0o--

2 STAFF AIR POLLUTION SPECIALIST RAYMOND: An
3 overview of today's presentation is provided on this
4 slide. I'd like to take this opportunity to explain what
5 we mean by the term adaptive management. Adaptive
6 management is the ongoing process we use to assess the
7 implementation of our regulations. As issues arise, we
8 will propose any necessary actions or policies to improve
9 the effectiveness of the regulation.

10 --o0o--

11 STAFF AIR POLLUTION SPECIALIST RAYMOND: Since I
12 just defined the term adaptive management, I'd now like to
13 discuss it in the context of cap and trade.

14 Adaptive management is the process for
15 identifying, tracking, and responding to the emission
16 trends occurring under the Cap-and-Trade Regulation. When
17 the Cap-and-Trade Regulation was first considered by the
18 Board in 2011, the Board concluded that cap-and-trade is
19 unlikely to contribute to increased localized emission
20 impacts.

21 The Cap-and-Trade Program works alongside the
22 existing air pollution control programs. ARB works
23 closely with the local air districts to enforce air
24 pollution regulations, monitor air pollution, and ensure
25 that emission reductions are occurring as intended, so

1 that all Californians, especially those in disadvantaged
2 communities, are experiencing the benefits of clean air.
3 The Board approved the adaptive management plan in 2011 to
4 closely track the effects of the Cap-and-Trade Program on
5 localized air quality.

6 In adopting the plan, the Board sought to ensure
7 that the Cap-and-Trade Program identifies, tracks, and
8 responds to any localized air quality impacts under
9 cap-and-trade. Accordingly, we are committed to
10 implementing the adaptive management program.

11 --o0o--

12 STAFF AIR POLLUTION SPECIALIST RAYMOND: Adaptive
13 management provides the tools alongside a transparent and
14 public process for tracking emission trends from
15 facilities subject to cap-and-trade. The proposed
16 process, an interactive greenhouse gas mapping tool,
17 allows anyone to follow and replicate staff's analysis.
18 We will have a demo of this tool later in the
19 presentation.

20 On an annual basis, the proposed process will
21 monitor for changes at individual facilities and in
22 California communities with multiple facilities. The
23 proposed process will also evaluate emission trends over
24 multiple years at individual facilities, California
25 communities, and industrial sectors.

1 The U.S. EPA in its final Clean Power Plan
2 identified California's cap-and-trade adaptive management
3 program as a potential model for other states to use in
4 considering implications of their plans to comply with the
5 program.

6 --o0o--

7 STAFF AIR POLLUTION SPECIALIST RAYMOND: We've
8 identified the process. Now, we will discuss it as it
9 relates to California's existing regulatory framework.

10 At the federal, State, and local level, air
11 pollution control programs are designed to reduce
12 greenhouse gas, smog forming criteria pollutant, and toxic
13 air contaminants throughout California, improving the
14 health of all residents. The local air districts have the
15 primary authority to develop rules to reduce toxic and
16 criteria emissions from stationary sources.

17 California's Cap-and-Trade Program places a price
18 on carbon that incentivizes facilities to reduce emissions
19 from their operations. The Cap-and-Trade Regulation sets
20 a cap on greenhouse gas emissions, which is lowered over
21 time to reduce the amount of pollutants released into the
22 atmosphere.

23 The cap has been in place since 2013, and reduces
24 greenhouse gas emissions from large industrial sources.
25 The Cap-and-Trade Program, along with other complementary

1 emission reduction measures will reduce greenhouse gas
2 emissions in California. Emission reductions are expected
3 to come from cars and trucks, fuels, industrial
4 facilities, and many others.

5 --o0o--

6 STAFF AIR POLLUTION SPECIALIST RAYMOND: On this
7 slide, we're exploring key questions related to adaptive
8 management. Has a facility or group of facilities changed
9 their emissions and will that change likely continue?

10 Does the change merit a more detailed analysis?

11 Is that change a direct result from the
12 implementation of the cap-and-trade?

13 What is the process and potential outcomes?

14 --o0o--

15 STAFF AIR POLLUTION SPECIALIST RAYMOND: The
16 draft adaptive management process was developed in
17 coordination with the local air districts through CAPCOA.
18 Staff held four regional public meetings to provide
19 opportunities for the public to comment on the draft
20 process.

21 We will continue to work with our local air
22 district partners and interested stakeholders to further
23 develop the adaptive management process. We will also be
24 revising the draft process early next year and hold
25 additional public meetings. Finally, we will present the

1 final process to the Board next year.

2 --o0o--

3 STAFF AIR POLLUTION SPECIALIST RAYMOND: Earlier
4 in the presentation we teed up a number of key questions
5 related to adaptive management, and we are proposing to
6 assemble a working group that will provide us input on a
7 number of key aspects of adaptive management analytics.
8 The proposed work group will consist of representatives
9 from key EJ, environmental health, public health, air
10 districts, industry, and other stakeholders.

11 --o0o--

12 STAFF AIR POLLUTION SPECIALIST RAYMOND: We've
13 developed a detailed adaptive management process to track
14 emissions at individual facilities in communities and
15 amongst industrial sectors. At the end of this
16 presentation, any resulting recommendation will be
17 presented to the Board after going through public vetting.

18 In the next slides, I'll go over staff's proposal
19 for: Data collection and screening, data analysis,
20 review, and decision making.

21 --o0o--

22 STAFF AIR POLLUTION SPECIALIST RAYMOND: In the
23 draft process, we will use the publicly available updated
24 GHG mapping tool. ARB's Air Quality Planning and Science
25 Division staff developed the updated tool that we are

1 using for this process.

2 The tool uses GHG emissions data reported
3 directly to ARB by over 500 facilities as required by the
4 mandatory reporting regulation, or MRR. The general
5 reporting threshold for facilities is 10,000 metric tons
6 of GHGs per year. These data are verified by a
7 third-party verifier and reviewed by ARB staff.

8 Now, staff will show you a short demo of the
9 tool.

10 --o0o--

11 (Thereupon a video was played.)

12 MODERATOR: ARB has recently made an update to
13 its existing greenhouse gas mandatory reporting
14 interactive mapping tool originally released in 2012

15 This web-based tool displays the locations of
16 mandatory reporting facilities in California and their
17 greenhouse gas emissions.

18 This updated tool provides the same information,
19 mandatory reporting facilities and greenhouse gas
20 emissions, but this version included many new features,
21 better usability, and reported data through the year 2013.
22 Note that this tool does not include emissions from
23 transportation fuel or natural gas suppliers or
24 electricity importers.

25 Let's take a look at the new user interface and

1 features. The updated web tool plots the locations of
2 mandatory reporting facilities on a map just as before.
3 Users are able to pan and zoom the map, and facilities are
4 color coded based on the primary sector. The tool now
5 includes left and right sidebars to help identify
6 facilities.

7 One major new feature is the ability to search
8 for a facility by name. Menus also allow you to filter by
9 geographic region, primary sector, and whether a facility
10 participates in the Cap-and-Trade Program. The right side
11 bar displays a list of facilities along with their
12 greenhouse gas emissions. This list and the map respond
13 to what filters are selected in the left side menu.

14 Now, let's take a look at what information the
15 tool can provide. Let's click on Anheuser-Busch in the
16 list of facilities. Notice the facility bouncing on the
17 map. Let's zoom in, which can be done using the zoom and
18 pan controls or by using the mouse wheel.

19 Notice the tabs on the facility pop up. The
20 first tab shows information about the facility. The
21 greenhouse gas tab shows greenhouse gas emissions for this
22 facility reported for 2013. The trend tab shows emissions
23 for each year reported, and the chart tab shows this
24 emission trend visually. We can use Google Maps satellite
25 image view. Zooming in we can see satellite imagery of

1 the facility. We can also use Google street view.

2 Now, let's exit and reset the map. Next, let's
3 use the search feature. We'll search Tesoro. The list on
4 the right shows facilities matching the name Tesoro. As
5 before, we can see facility information, greenhouse gas
6 emissions reporting for 2013, a trend of all emissions
7 reported, and a chart showing the visual representation.

8 Using the greenhouse gas visualization mapping
9 tool a user can draw a buffer of any size and shape around
10 a group of facilities and the tool will sum the greenhouse
11 gas emissions within the shape.

12 The user can also see the greenhouse gas emission
13 trend over time for the selected facilities. A user can
14 locate the drawing tool in the upper right corner of the
15 map. It contains the following icons for drawing
16 different shapes: Circle, rectangle, and polygon.

17 To draw a shape on the map, a user needs to
18 select a shape from the drawing tool. For this example, a
19 circle, then click on the map to start drawing the shape
20 on the map. Once a shape is drawn, users can color, move,
21 resize, edit, and delete the shape. Using the color
22 palette and the delete buttons, users can change the color
23 of the shape or remove the shape from the map. When a
24 shape is clicked, an information window will also pop up.
25 The information window contains several tabs that include

1 location and geometry of the area and parameters of the
2 shape, a list of facilities in the shape, and the sum of
3 greenhouse gas emissions and trends for all facilities
4 included in the shape.

5 Let's look at other filters. The Cap-and-Trade
6 filter allows you to display only facilities participating
7 in the Cap-and-Trade Program for 2013. The map and the
8 list on the right display only facilities participating in
9 cap-and-trade.

10 Now, let's demonstrate the threshold function at
11 the bottom left. By increasing the threshold, we can
12 limit the map to display only facilities emitting above
13 the defined threshold. This is useful for seeing the
14 largest emitters.

15 Using the list on the right, we can also sort by
16 the amount of emissions. At any time, users can export
17 all the information displayed on the right list by
18 clicking get data.

19 (Thereupon the video concluded.)

20 STAFF AIR POLLUTION SPECIALIST RAYMOND: In the
21 next couple slides, I'll go over our proposal to review
22 emission changes at individual facilities in California
23 communities and across industrial sectors. These reviews
24 and analyses will be conducted both annually and over
25 multiple years to track emissions. This information will

1 be used as a first order screening that may lead to
2 further investigation.

3 --o0o--

4 STAFF AIR POLLUTION SPECIALIST RAYMOND: First,
5 I'll start with the individual facility analysis. We will
6 track emissions at all California cap-and-trade
7 facilities. Staff will compare the most recently reported
8 GHG data to previous years. For the community analyses,
9 we will use the GHG mapping tool to look at multiple
10 communities with more than one cap-and-trade facility.

11 Just as I mentioned, for the individual facility
12 analysis, we will compile and compare current emissions
13 with prior years. The process will be repeated for each
14 California community with multiple cap-and-trade
15 facilities. Using the GHG mapping tool, anyone can follow
16 our analysis or conduct their own.

17 --o0o--

18 STAFF AIR POLLUTION SPECIALIST RAYMOND: Staff
19 will use the collected data to calculate a trend line or
20 slope trajectory or each series of reports to track
21 changes of emissions over multiple years. The image on
22 this slide is a example of a facility's GHG trend over six
23 years.

24 --o0o--

25 STAFF AIR POLLUTION SPECIALIST RAYMOND: In this

1 process, changes in GHGs will serve as a surrogate to
2 indicate potential changes in criteria and toxic
3 emissions. Staff is proposing to work with the local air
4 districts to track changes in these pollutants and further
5 identify reasons for the emission changes.

6 --o0o--

7 STAFF AIR POLLUTION SPECIALIST RAYMOND: The
8 interactive GHG mapping tool allows anyone to conduct
9 their own analysis and work with ARB to track GHG changes
10 at individual facilities in California communities and
11 across industrial sectors. In this process, we will
12 release our analyses annually and present them to the
13 Board. We will also consider public comments received and
14 continue to seek input from the local air districts.

15 --o0o--

16 STAFF AIR POLLUTION SPECIALIST RAYMOND: ARB's
17 long-standing approach to implementing its programs,
18 policies, and regulations includes periodic reviews to
19 ensure that the goals of the respective action are being
20 met. For adaptive management, we're following that
21 established approach may consider: Additional air
22 monitoring or research, health risk assessments,
23 amendments to State regulations, or local air districts
24 rules or other actions.

25 --o0o--

1 STAFF AIR POLLUTION SPECIALIST RAYMOND: Some of
2 the public comments we've received include:

3 Questions about where to access information for
4 the Cap-and-Trade Program. Stakeholders and members of
5 the public inquired about facilities use of offsets for
6 cap-and-trade and more information about where the offsets
7 were generated. In response, we intend to link to
8 available Cap-and-Trade information from the cap-and-trade
9 adaptive management webpage.

10 We've also heard that the tool does not contain
11 enough information. For example, it should include
12 criteria and toxic emissions and whether allowances or
13 offsets were used for Cap-and-Trade compliance. Staff is
14 considering these comments and will work with CAPCOA to
15 evaluate incorporating more information into the tool.

16 We've heard that the tool may miss opportunities.
17 Commenters have stated that the tool may not capture any
18 disparities in the rate of emission reductions in
19 disadvantaged communities as compared to other areas. In
20 the analysis, staff will compile emission changes and
21 closely examine trends particularly those that do not
22 demonstrate reductions as expected from the implementation
23 of cap-and-trade.

24 In addition, a concern was raised that the tool
25 may not capture potential criteria or toxic increases that

1 could result from sources not covered under cap-and-trade.
2 An example would be a dairy installing a digester to
3 generate offsets and use -- and electricity resulting in
4 an increase in NOx. Staff is concerned about this
5 potential as well. Because this issue will be addressed
6 in the development of the upcoming scoping plan and
7 short-lived climate pollutant strategy, we are proposing
8 to work with the local air districts and holistically look
9 at this issue to ensure we have policies in place to
10 minimize the potential for increases. As noted
11 previously, any recommendations would be presented to the
12 Board after a full public process.

13 --o0o--

14 STAFF AIR POLLUTION SPECIALIST RAYMOND: On this
15 last slide, I'll go over next steps for moving this
16 process forward. This will include considering any
17 comments received at the public meetings, including this
18 Board meeting and incorporating them into the revised
19 draft process.

20 We are planning to release the revised draft
21 adaptive management process in early 2016. Next year, we
22 will hold additional public meetings in different
23 communities from those held this month to provide
24 additional opportunities for the public to comment on the
25 process.

1 We are also proposing to follow next year's
2 regional meetings with a presentation of the final
3 adaptive management process at a Board hearing in 2016.

4 Thank you. This completes our presentation and
5 we'd be happy to answer any questions you have.

6 VICE CHAIR BERG: Thank you very much, staff for
7 that great presentation. Board, we have two -- or
8 actually three public comments. So why don't we go ahead
9 and take those public comments and then I'm going to ask
10 for Dr. Balmes to open this up. This has absolutely been
11 his passion, and we'll have you lead off with comments,
12 John, before we go to the rest of the Board members, okay?

13 Hi, Alan.

14 MR. ABBS: Good afternoon, Madam Vice Chair and
15 members of the Board. My name is Alan Abbs with and
16 CAPCOA. And I can't -- for starters, I can't say it as
17 well as Chair Nichols said at the start of this
18 presentation, that this was a process that was going to
19 benefit by incorporating the local air districts in the
20 process from the beginning, and working with them
21 throughout to come up with a tool that was going to be as
22 useful as possible to stakeholders in California. So we
23 appreciate the opportunity to be involved with that, to
24 provide feedback, and to be part of the process to
25 determine if there were any impacts due to cap-and-trade

1 through the adaptive management.

2 And we also appreciate identifying that there
3 could be some issues associated with projects designed to
4 get offset credits that could have negative impacts in
5 terms of increased criteria pollutants. And so we're
6 pleased to see that those -- that that comment was noted
7 and that ARB staff will be working with the districts to
8 further look at that issue and refine any answers to that.

9 So thank you again for letting us be part of the
10 process and we look forward to continuing that.

11 VICE CHAIR BERG: Well, before you go, I would
12 just like to thank you and CAPCOA. You're being very
13 modest. You are our partners in this. And without
14 CAPCOA, we would not have been able to move this forward
15 and incorporate it like we have. I was involved from the
16 very beginning of putting this together, and it was
17 critical that CAPCOA was a leader with us, and we want to
18 thank you for that. And if you'd please pass that on to
19 all of your CAPCOA partners, we'd really appreciate that.
20 Thank you very much for your leadership.

21 MR. ABBS: I will do that. Thank you.

22 MR. MAGAVERN: Vice Chair Berg and Board members,
23 I'm Bill Magavern with the Coalition for Clean Air. And
24 really appreciate the fact that the staff listened to the
25 comments that I made at the workshop and responded to them

1 in the presentation.

2 Clearly, if we see that emissions are going up at
3 a cap facility, then that should cause further inquiry.
4 What I think is not so obvious is there might be some
5 situations where emissions actually went down, but we
6 still might want to look into it further. And I think
7 that's counterintuitive, so let me explain a little bit.

8 First, we have to place this in the context of
9 environmental injustices that have occurred over a long
10 time at many communities in our State, places like
11 Richmond and Southgate and other communities that many of
12 you know very well. And so these areas need to have
13 reduced emissions of criteria and toxic air pollutants at
14 a faster rate than other communities do. And we certainly
15 have an overall trend of emission decline. So you could
16 have a small decline that would mask the fact that we've
17 missed opportunities to have more rapid declines that are
18 really essential for the health of these neighborhoods.

19 And that could happen because facilities could
20 choose to purchase allowances and/or offsets instead of
21 updating their machinery and reducing emissions on site.
22 And historically, we may see a pattern that the best
23 equipment is going into certain areas, while the dirtier
24 outmoded equipment is left in those areas like Richmond or
25 Southgate.

1 And so we need to make sure that we're looking
2 for all those possibilities for those potential missed
3 opportunities, so that we're not seeing a situation where
4 purchases of allowances and/or offsets are perpetuating
5 the environmental injustices that have plagued these
6 communities for a long time already.

7 Thank you.

8 VICE CHAIR BERG: Good afternoon.

9 MR. HASAN: Good afternoon, Madam Chair and
10 members of the Board. My name is Shams Hasan. I'm the
11 HSE manager for E&B Natural Resources and Oil Production
12 Facility, in -- based in Bakersfield, but we are in
13 California, Wyoming, Kansas, and Louisiana.

14 While I appreciate staff's work on this, and it's
15 a very beneficial thing what they're doing. Knowledge is
16 good, providing knowledge is beneficial, but providing
17 knowledge -- partial knowledge is dangerous and also
18 misleading.

19 As a way of background, as I said E&B is an oil
20 producer. Second largest independent producer in
21 California. And we are part of cap-and-trade for the 2013
22 year emissions year, 2014 emissions year. We've been
23 audited both years by an independent third-party auditor
24 as mandated by State and we got a positive grade in both,
25 which is the highest grade achievable.

1 With that, I want my, you know statement was on,
2 for example, the slide number 15, which shows a trend of
3 decreasing emissions. And obviously, when you're talking
4 about cap-and-trade, you're talking about the
5 effectiveness of cap-and-trade reducing the emissions in
6 the State. However, when, you know, you look at an
7 individual facility, like E&B, our emissions have gone up,
8 and that's why we are in cap-and-trade, because our
9 production has gone up.

10 And as I said, we are in compliance with
11 cap-and-trade. We got positive qualifications, but our
12 emissions have gone up. So if someone is looking at a
13 graph like that, at an individual facility, they would see
14 that E&B is really gross polluter of GHG pollutants,
15 when -- unless it is also overlaid with the production of
16 that facility, which would show that, okay, the emissions
17 have gone up, but so has the production, and the facility
18 is still positively qualified to be in compliance.

19 So I would strongly suggest that staff take that
20 into consideration when they make a graph or they post a
21 graph like that, they have also the production numbers
22 showing the cause of that, because we have -- you know, we
23 have activists and other people in the public, and
24 especially activists in general, in particular, who, you
25 know, create that hysteria about a particular facility

1 being a gross emitter when they actually are not
2 considering the production.

3 Thank you.

4 VICE CHAIR BERG: Jesse Marquez.

5 Good afternoon, Jesse. I haven't seen you for a
6 while. Nice to see you.

7 MR. MARQUEZ: Thank you so much. Jesse Marquez,
8 executive director of the Coalition for a Safe
9 Environment. We're an environmental justice organization
10 headquartered in Wilmington. And I first really want to
11 thank the staff developing an excellent tool, because it's
12 rare that we can find good tools, but to find a tool where
13 the public can also use that trending analysis data to
14 facilitate, you know, our research, and being able to
15 track and follow and provide public comments.

16 And, you know, this is my first time to see it,
17 and it's just an excellent thing that I'm really proud of
18 the staff for doing it.

19 I do have a couple of concerns here is that how
20 will the system track new facilities? Because there are
21 new facility being -- even though right now the trend has
22 been going down, the fact of the matter is there's major
23 projects on the books right now where they're going to
24 start construction next year. So while we need to be
25 tracking things, 2016 is going to be a year new facilities

1 are going to be getting construction and be coming
2 on-line. So that's one concern there. How do we update
3 it with the new facilities?

4 And then we have facilities, which will be kind
5 of similar to what the gentleman just stated right now,
6 that are expanding their capacity or doing new
7 construction. Since I only had a -- since I wasn't able
8 to get a copy of the presentation, I think you had it
9 under resources, things that you could do, then I wanted
10 to see categories there where you might recommend new
11 technology updates for that facility as an option. For
12 example, if they don't have a vapor recovery system, well,
13 that's something that's off-the-shelf. You know, you
14 could recommend, hey, you've gone up, now here's our
15 recommendation. You have an opportunity here now to
16 update the technology that's being used.

17 In other cases like a refinery, they have power
18 outages, so it's not necessarily a new technology, it's a
19 matter of requiring them to have a backup power system
20 there, so it does not have a power failure later on. Now,
21 in some cases like ConocoPhillips, they do have a cogen
22 backup system, but it's a small cogen backup system, so
23 that it doesn't work 75 percent of the time. So when you
24 have a big power failure, it does no good to have a little
25 backup cogen system, but that would be a recommendation

1 that would be a quick simple fix for it.

2 There are also coming on-line new emission
3 capture technologies that might be applied to certain
4 industries. CARB just certified the advance maritime
5 emissions control system for ships. Well, it's basically
6 a vacuum cleaner with a big hose that goes over the
7 exhaust pipe. Well, there might be industries that could
8 use that technology, because it can built, not only on a
9 barge, but landside or at a facility. So that would be
10 another type of recommendation saying, hey, here's a new
11 emerging technology. It just got certified, let's now do
12 a pilot project for now transferring that technology to a
13 new application for a new manufacturing facility.

14 And then one thing that was not mentioned is that
15 what if you do have a bad guy out there, then what would
16 be penalties and sanctions for the bad guy who refuses?

17 And thank you for my time.

18 VICE CHAIR BERG: Staff, before we call on Dr.
19 Balmes, do you have any comments on some of the things
20 that we've heard from the presenters about how we're going
21 to move forward and take these suggestions?

22 Then we'll have Dr. Balmes lead us off.

23 EXECUTIVE OFFICER COREY: Sure. I'll provide a
24 response. And I think this is kind of a key element of
25 the adaptive management process that was described. And

1 that really is what was characterized in terms of that
2 tool is an initial filter. And an initial filter is one
3 of looking at GHG emissions as a surrogate for what
4 facilities merit a closer look. You have a few hundred
5 facilities under cap-and-trade. And the fundamental
6 question was is cap-and-trade leading to potential,
7 potential near source related issues, be it criteria or
8 toxics.

9 And there is a relationship between GHG
10 emissions, and from a filter standpoint, and because we
11 have verified GHG emissions reported under the
12 cap-and-trade under our mandatory reporting program, it
13 becomes a very, we think, effective surrogate. But as we
14 move forward, I think the point is going to be kind of the
15 proof is in the pudding, and the process we go forward,
16 basically start running pilots through this thing based on
17 mandatory reported data, see basically the kind of trends
18 that we may be seeing, or is it a trend for an individual
19 sector?

20 Does it get to the point that the gentleman made?
21 There may be very good explanatory power in terms of why
22 you see emissions trend. There may actually be increased
23 production. That's an important explanation that would
24 necessarily -- that would be needed as part of that
25 follow-on assessment.

1 So as a filter, we actually think it would be a
2 very useful tool, but it's the kind of implementation area
3 that we want to continue to work with on our environmental
4 justice advisory folks, other folks in the community that
5 are looking at as we work through and really test drive
6 the process and really look to how we can improve on it.

7 We think by putting the tool out there and really
8 empowering folks to really do the same kind of screen that
9 we're doing, actually, we think it will lead to even more
10 effective application and something that is more effective
11 in terms of getting information out to folks.

12 So I'd characterize it as we are not done. I'd
13 characterize it as an initial -- I think it's an important
14 step, but it's an initial step as it can be a useful
15 screen as to what merits a closer look and a closer
16 evaluation. And our conversations with the air districts
17 have been really focused on after you apply this initial
18 screen, and you have that subset you want -- need to take
19 a closer look at, it clearly is predicated on a close
20 working relationship with the districts, because they're
21 permitting the local sources, they have local emissions
22 and equipment information by technology that's permitted
23 on-site.

24 VICE CHAIR BERG: Great. Thank you.

25 Dr. Balmes.

1 BOARD MEMBER BALMES: Thank you, Vice Chair Berg.
2 Well, first off, I want to thank the staff for what I
3 think is a good step forward with regard to adaptive
4 management. I guess we called it some kind of audit
5 originally. I can't remember. But I do remember
6 insisting when we were thinking about cap-and-trade in the
7 initial scoping plan and thereafter that facilities that
8 were high greenhouse gas emitters also were likely to be
9 high emitters of criteria pollutants and toxic pollutants,
10 which are separate.

11 And, you know, it's been a long time coming, but
12 I'm very pleased with the progress that has been presented
13 today. So I've -- oh, and I also want to say, or add my
14 thanks to that of Vice Chair Berg in terms of CAPCOA. I
15 do think this is the kind of partnership that is good for
16 the people of California when the State agency and the
17 local districts are working together efficiently.

18 So I did take the opportunity to playing around
19 with the mapping tool after my briefing on Monday. It was
20 suggested I do that. And Supervisor Gioia might be
21 interested in when you look at Chevron, it's not doing all
22 that great, in my view. There's been some decrease in CO₂
23 emissions, but it's not that impressive. Though I guess
24 if you talk about the total amount because they're such
25 big emitters, there's been, you know, a decent improvement

1 in CO₂ emissions. But if you look at methane or N₂O -- is
2 that supposed to be N₂O or -- it is N₂O. Okay. Just
3 being clear.

4 You know, it's not so good the last few years,
5 and this is, you know '11, '12, '13, there's a significant
6 amount of NO₂, significantly more than in previous years.
7 And the methane is also up, which leads me to be concerned
8 about toxic emissions that would go along with these.

9 So this is exactly the kind of data that I think
10 will be helpful for all parties, CARB, the local district,
11 and citizens. And I'm pleased that Jesse is pleased with
12 the tool, because I think it is --

13 (Laughter.)

14 BOARD MEMBER BALMES: It is pretty user-friendly.
15 If I can make it work, almost anybody can.

16 And I do want to -- well, while I'm on Chevron,
17 because we have an example of where preventive maintenance
18 wasn't really implemented and we had a major fire due to a
19 corroded pipe, I do think facilities like Chevron need to
20 be monitored, and I'm glad we're doing this now.

21 And I want to take issue a little bit with the
22 gentleman from E&B. I have no problem with overlaying
23 production data. I'm a data person. I like to see data.
24 That's an explanation, but it doesn't mean it's a good
25 one. If we're trying to reduce greenhouse gas emissions

1 and other emissions related to criteria pollutants, toxic
2 pollutants, then even if it's cleaner percentage-wise, but
3 you're still producing a lot of emissions, then that's a
4 problem for the climate and it's problem for the
5 environment.

6 You know, our -- we need -- if we want to really
7 make a difference for climate change mitigation, as well
8 as improving air quality, then we need to move away from a
9 fossil fuel infrastructure as fast as we can, and that's
10 what we're trying to do. So producing more oil doesn't,
11 you know, impress me, as a particularly good thing.

12 So with all that said, I look forward to hearing
13 subsequent progress reports in 2016, but I'm pleased with
14 what I see so far. So I want to thank everyone involved.

15 VICE CHAIR BERG: Thank you, Dr. Balmes.

16 Ms. Mitchell.

17 BOARD MEMBER MITCHELL: Thank you. And thank you
18 to staff for working on this. It really is a very
19 promising tool that we're looking at. I just want to
20 mention that, because it's very important in the South
21 Coast District as all of our staff knows, one of our
22 priorities in the past couple of years has been to pursue
23 programs and legislation that has the co-benefits of
24 reducing both GHG and the criteria pollutants and toxic
25 contaminants. And so a tool like this can be a great help

1 as we go forward to see what is actually happening out
2 there. Are we accomplishing what we need to accomplish
3 with reductions in both categories?

4 And so I encourage our staff to keep working on
5 this and to see how we can use this tool as we move toward
6 that objective.

7 Thank you.

8 VICE CHAIR BERG: Supervisor Gioia.

9 BOARD MEMBER GIOIA: Again, thanks for the
10 presentation today, and thanks for being out there in the
11 community on this. In fact, there was some really good
12 questions from the community on the issue of the maps
13 dealing with production, Professor, Dr. Balmes. The more
14 titles, the better, right?

15 (Laughter.)

16 BOARD MEMBER GIOIA: And I think there was a
17 recognition that when you have an accident at a facility,
18 for example, where then the facility ramps down its
19 production, you may have less GHGs in a given year, so it
20 may not truly reflect the true annualized level of GHG
21 emissions, because either there was a turn-around,
22 maintenance, or the facility was closed due to an
23 accident, so -- and I think you pointed out in that
24 presentation to the community that what you're going to be
25 doing is you're going to look at the data year to year,

1 but you're going to try to get behind the data. That real
2 people are going to be investigating, asking questions.
3 You can't just rely on this data alone.

4 For example, if production is down, GHGs will be
5 down, but that may not be a real trend, because of --
6 again, because it was an abnormality in that facility. So
7 you're going to be looking at those kinds of things.

8 The question I have -- it was unclear to me. So
9 does the data -- the GHG emissions data reflect the actual
10 hard level of emissions coming from that facility. It
11 does not take into account offsets and other things like
12 that. So it's -- it is the actual GH -- real GHG
13 emissions from a facility? I just want to make sure I
14 understand.

15 STAFF AIR POLLUTION SPECIALIST RAYMOND: Yes,
16 Supervisor Gioia. That's correct. So it's the total
17 annual greenhouse gas emissions reported to us and
18 verified.

19 BOARD MEMBER GIOIA: Right, which is a separate
20 issue than, you know, how they're dealing with the
21 cap-and-trade market, right? So that's good. I just
22 wanted to be really clear. It's the GHG data.

23 Thanks.

24 VICE CHAIR BERG: Thank you very much.

25 I had a couple of questions. One, when we look

1 at criteria pollutants and we have other measurements like
2 the toxic hot spots, AB 2588, and I think there's some
3 interactive maps on that by facility as well or at least
4 some sort of reporting, are we going to see any
5 integration of this data, so that we're getting kind of a
6 complete picture rather than piecemeal?

7 STAFF AIR POLLUTION SPECIALIST RAYMOND: So what
8 we plan to do is to work with the local air districts and
9 find the best way to get that data set, just because the
10 local air districts collect the toxic and criteria
11 inventory, and plan to integrate that into the tool at --
12 during a later release. They're just -- there's a lot of
13 work that's involved with matching facilities, because
14 we -- for greenhouse gases, we collect the data, and to
15 match the facilities in greenhouse gases with what's in
16 the toxic criteria takes some time. And so once that's
17 done, the facilities are matched, then it can get added to
18 the tool. But again, it's working with the local air
19 districts to get the data.

20 VICE CHAIR BERG: Thank you very much for that.
21 I do have a sensitivity to information and then
22 the responsibility we have of educating people how to
23 interpret this data.

24 And from running a hazardous waste facility, I
25 have a lot of my data posted, available. And I often go

1 out into my community to work with various groups to help
2 them interpret what they're looking at, because there's
3 different pieces of that data.

4 I think there also has been a very credible
5 argument that we need to educate and bring together what
6 we're asking regulated parties to accomplish, and what
7 they are accomplishing, and then what the challenges are,
8 and then absolutely respond. I'm very excited that we are
9 moving ahead strongly with the adaptive management piece.

10 And no question, this is very, very important.
11 But in that, there's a lot of pieces that we can't assume
12 we can point to one thing and say it's a great success or
13 it's a great failure. And how we bring this together and
14 really help people truly utilize it as a tool, like Jesse
15 was talking about, I think that's where it's greatest
16 opportunity is.

17 And I really would like to encourage that we take
18 all of the comments that we have heard from our
19 commenters, along with the Board, and really look
20 holistically what language we're using, how we're
21 communicating this, so that people really get a sense from
22 the difference between communities and the businesses
23 within those communities that are stepping up and looking
24 at including improving the economy. I'd think that
25 improving the economy is kind of high on our list of good

1 things.

2 Yes, we want to transition absolutely to a clean
3 economy, but that's going to take over time. So how we
4 put this together and continually talking to all of our
5 partners I think is really a critical piece.

6 And thank you for bringing this. You know, we
7 look at this as an update, but this is a very complicated
8 piece as well. It has a lot of moving parts, a lot of
9 data. It talks about a lot of different things and we can
10 a see -- now, we're starting to really give data
11 specifically on facilities. And any time data goes out,
12 it makes people nervous. And how we bring that all about
13 so we all work together, I think is a really important
14 key.

15 Congratulations, and thanks for bring that back
16 to us.

17 Any further?

18 So that is --

19 BOARD MEMBER GIOIA: I did have one comment.

20 VICE CHAIR BERG: Please.

21 BOARD MEMBER GIOIA: There was some discussion
22 about collecting this data for toxics, criteria
23 pollutants, things like that. Where does that stand from
24 a -- for facilities that -- for a subset of these
25 facilities, having the data be as transparent and visible

1 as we have here for GHGs?

2 ISD PROJECT ASSESSMENT BRANCH CHIEF TOLLSTRUP:

3 So I'll take this one. So what we plan to do
4 with the criteria and toxic data is we talked about doing
5 this annual report. So we use the GHG data as the first
6 screening part of it. We kind dig down where we see, you
7 know, trends going up or, you know, we don't see
8 reductions, work with the local districts to come up with
9 that analyses and put it together in a report that we
10 would use annually before the Board to kind of report what
11 the progress is. And then we'd go through a public
12 vetting as well.

13 So eventually, though, what we hope to do in the
14 longer run is to work with the districts and actually
15 incorporate it into the tool itself, but we're not there
16 yet. So at least the next round when we come back to the
17 Board, we'll have a couple years of data that we can show
18 what we found. It will include toxics and criteria, but
19 it will be in that report.

20 BOARD MEMBER GIOIA: Thank you.

21 VICE CHAIR BERG: That did spur on one additional
22 thought, and also by Dr. Balmes. You know, we have
23 benchmarking and we benchmarked facilities within their
24 industry types. And my recollection was that Chevron was
25 pretty efficient in their use of energy for their product

1 line, according to our data.

2 So again, our expectation of really their gains
3 would be less in this first compliance three year period,
4 than some of the people that were not as energy efficient.

5 That would be an example of education to let
6 people know what -- where people are and what we have them
7 doing, because otherwise a very large company, like
8 Exxon -- I'm sorry, like Chevron, who does have to do some
9 other things, no question about it. But information is
10 important and complete information is important or at
11 least transparent.

12 Okay. Great. Thanks.

13 So that -- oops, I turned myself off.

14 So that concludes our agenda. We do have one
15 person that is signed up for public comment. And I'm
16 going to have Brian Biering from ACE Cogeneration come up.
17 And we have three minutes for you to bring your topic up.

18 Hi, Brian. Nice to see you.

19 MR. BIERING: Thank you. Nice to see you too,
20 Vice Chair Berg. And thank you, members of the Board for
21 this opportunity to speak.

22 I'm here on behalf of the ACE Cogeneration
23 Company, which was a 120-megawatt coal-fired power plant
24 located in Trona, California. And the reason I'm
25 providing comment during the public comment period is

1 because of the issue we wanted to raise. It's not on the
2 public agenda -- not on the agenda.

3 And it's really an issue that has come up in
4 regards to the implementation of the AB 32 cost of
5 implementation fee. A fee that essentially looks back two
6 years at an entities submissions and uses that as a basis
7 to calculate the entity's share of the costs associated
8 with the implementation of AB 32 in the current
9 considerations.

10 ACE shut down in September of 2014. And during
11 their 25 years of operation, they really were a model
12 citizen. They complied with all of their environmental
13 requirements. They never had any Cal/OSHA issues. And to
14 date, they have retired all of their cap-and-trade
15 allowances associated with all of the GHG emissions during
16 their operations.

17 In the process of winding down, we've had a
18 significant issue in relation to the AB 32 cost of
19 implementation fee. And that is the staff has determined
20 that the facility is required to pay the -- not only the
21 2015-2016 fee but also the 2016-2017 fee.

22 The facility has shut down and there really
23 aren't any costs outside of checking the compliance
24 account in November of this year. We don't feel that this
25 fee that's assessed against ACE is fair, and we would

1 request the Board's consideration of the issue and any
2 assistance that you may be able to provide in finding a
3 fair resolution to this issue.

4 VICE CHAIR BERG: Thank you very much. I'd like
5 to remind the Board in the case of public comment that
6 it's not our position to comment on that, but I'm going to
7 ask Ellen Peter just to let us know and refer it to you,
8 because I'm sure it's part of the legal statute, and
9 that's where it is. And if you could just advise the
10 Board within the appropriate scope as to how we're going
11 to proceed, that would be great.

12 CHIEF COUNSEL PETER: Will do.

13 BOARD MEMBER RIORDAN: May I ask though just a
14 question of the speaker?

15 Have you had an opportunity, since our
16 discussion, and I would go on record as saying I have
17 discussed this with the speaker, has anyone contacted you
18 for a meeting?

19 MR. BIERING: No, we have not received an
20 invitation. We have discussed the issue, at least at the
21 staff level, and specifically requested meetings with
22 management. But the staff has indicated to us, prior to
23 our previous discussions, that the final determination
24 from their perspective at least, is that the company is --

25 THE COURT REPORTER: Could you get closer to the

1 mic?

2 MR. BIERING: Sorry, is that any better?

3 THE COURT REPORTER: Yes.

4 MR. BIERING: The final determination that the
5 staff made was that the company is required to pay the fee
6 for the 2015-2016, 2016-2017 fiscal years.

7 CHIEF COUNSEL PETER: Ms. Berg, I know that this
8 issue has been presented before. I don't feel like I want
9 to address it right now, because I don't have all the
10 facts. And we will look into it and give Mr. Biering a
11 written response and provide it to the Board.

12 VICE CHAIR BERG: Thank you very much. So I'll
13 go ahead and take the lead on that and get it back, make
14 sure that we are kept up-to-date, and thank you very much
15 for coming before us today.

16 MR. BIERING: Thank you.

17 VICE CHAIR BERG: So with that, is there any
18 other comments from the Board?

19 Well, I close the meeting and everybody have a
20 wonderful Thanksgiving. We'll see you in December.

21 (Thereupon the Air Resources Board meeting
22 adjourned at 3:31 PM)

23

24

25

C E R T I F I C A T E O F R E P O R T E R

I, JAMES F. PETERS, a Certified Shorthand Reporter of the State of California, do hereby certify:

That I am a disinterested person herein; that the foregoing California Air Resources Board meeting was reported in shorthand by me, James F. Peters, a Certified Shorthand Reporter of the State of California, and was thereafter transcribed, under my direction, by computer-assisted transcription;

I further certify that I am not of counsel or attorney for any of the parties to said meeting nor in any way interested in the outcome of said meeting.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of December, 2015.



JAMES F. PETERS, CSR
Certified Shorthand Reporter
License No. 10063