

MEETING  
BEFORE THE  
CALIFORNIA AIR RESOURCES BOARD

HEARING ROOM  
CALIFORNIA AIR RESOURCES BOARD  
2020 L STREET  
SACRAMENTO, CALIFORNIA

FRIDAY, JULY 29, 1994

8:45 A.M.

Nadine J. Parks  
Shorthand Reporter

MEMBERS PRESENT

Jacqueline Schafer, Chairwoman

Brian Bilbray  
Eugene Boston  
Joseph C. Calhoun  
Lynne T. Edgerton  
M. Patricia Hilligoss  
John Lagarias  
Jack C. Parnell  
Barbara Riordan  
Doug Vagim

Staff:

Jim Boyd, Executive Officer  
Mike Scheible, Deputy Executive Officer  
Mike Kenny, Chief Counsel

Peter Venturini, Chief, Stationary Source Division  
Ron Friesen, Assistant Chief, SSD  
Dean Simeroth, Chief, Criteria Pollutants Branch, SSD  
John Courtis, Manager, Fuel Section, SSD  
Tom Jennings, Staff Counsel, Office of Legal Affairs

Jude Lounsbury, Acting Board Secretary  
D. D. Schneider, Office of Legal Affairs  
Wendy Pendleton, Secretary  
Bill Valdez, Administrative Services Division

## I N D E X

	<u>PAGE</u>
Proceedings	1
Call to Order and Roll Call	1, 2
Opening Remarks by Chairwoman Schafer	2
<u>AGENDA ITEMS:</u>	
<u>94-8-1</u> Public Hearing to Consider Amendments to Small Refiner Volume Provisions in Regulation Limiting the Aromatic Hydrocarbon Content of California <u>Motor Vehicle Diesel Fuel</u>	
Introductory Remarks by Chairwoman Schafer	2
<u>Staff Presentation:</u>	
Jim Boyd Executive Officer	5
Dean Simeroth Chief, Criteria Pollutants Branch Stationary Source Division	9
Questions/Comments	17
<u>PUBLIC COMMENTS:</u>	
Susan Brown Deputy Chief for Forecasting California Energy Commission	26
Questions/Comments	29
Craig Moyer Western Independent Refiners Association	36
Questions/Comments	49
Charles Walz Texaco Refining & Marketing	60
Questions/Comments	76

INDEX, continued. . . PAGEAGENDA ITEM:

94-8-1	Tom Eveland Kern Oil Refinery	85
	Questions/Comments	92
	Patrick Marchbanks Bruce's Truck Stops	97
	Questions/Comments	99
	Wayne Jeffries Jeffries Brothers Petroleum Distributing	104
	Vernon Blackburn Farmer Kern Oil Customer	106
	Jim Tomerlin Cox Petroleum & Transportation	109
	James Richey ARCO	111
	Questions/Comments	116
	Stan Holm Mobil Oil Corporation	119
	Questions/Comments	122
	Al Jessel Chevron USA Products Company	124
	Questions/Comments	143
	Melissa Chapman Unocal	152
	Questions/Comments	159
	Carolyn Green Ultramar	161
	Questions/Comments	163

INDEX, continued. . . PAGE

AGENDA ITEMS:

<u>94-8-1</u>	Glenn Lingle Paramount	176
	Questions/Comments	182
	Al Gualtieri Powerine Oil Company	186
	Evelyn Parker-Gibson CIOMA	193
	Written Comments Entered into Record by Ron Friesen	205
	Questions/Comments	207
	Closing Comments by Mr. Boyd	209
	Official Closing of Record to Await Notice of 15-day Comment Period	211
	Motion by Lagarias to Approve Resolution 94-52	212
	Additional Comments by Mr. Lagarias	212
	Questions/Comments	213
	Roll Call Vote	216, 217
	Adjournment	217
	Certificate of Shorthand Reporter	218

## P R O C E E D I N G S

--oOo--

CHAIRWOMAN SCHAFFER: Good morning, ladies and gentlemen, I'd like to call this second day session of the Air Resources Board's July meeting to order, and request the Board Secretary to take the roll.

MS. LOUNSBURY: Bilbray?

Boston?

DR. BOSTON: Here.

MS. LOUNSBURY: Calhoun?

MR. CALHOUN: Here.

MS. LOUNSBURY: Edgerton?

MS. EDGERTON: Here.

MS. LOUNSBURY: Hilligoss?

MAYOR HILLIGOSS: Here.

MS. LOUNSBURY: Lagarias?

MR. LAGARIAS: Here.

MS. LOUNSBURY: Parnell?

MR. PARNELL: Here.

MS. LOUNSBURY: Riordan?

SUPERVISOR RIORDAN: Here.

MS. LOUNSBURY: Vagim?

SUPERVISOR VAGIM: Here.

MS. LOUNSBURY: Wieder?

Chairwoman Schafer.

1 CHAIRWOMAN SCHAFFER: Here.

2 I believe Supervisor Bilbray is here.

3 I'd like to remind those of you in the audience  
4 who would like to present testimony to the Board on today's  
5 agenda item to please sign up with the Board Secretary.

6 If you have a written statement, please give 20  
7 copies to the Board Secretary.

8 The item on the agenda today is 94-8-1, a public  
9 hearing to consider amendments to the small refiner volume  
10 provisions in the regulation limiting the aromatic  
11 hydrocarbon content of California motor vehicle diesel fuel.

12 In 1988, the Air Resources Board adopted  
13 regulations limiting the aromatic hydrocarbon and sulfur  
14 content of diesel fuel. These rules generally require that  
15 the aromatic content of diesel fuel be limited to 10  
16 percent.

17 Small refiners were provided with a less stringent  
18 20 percent limit to reflect their higher per gallon costs in  
19 producing the cleaner fuel, and were provided with a maximum  
20 amount of 20 percent fuel that they could produce in any one  
21 year.

22 Because of special provisions in the regulation  
23 that allowed small refiners an additional year to comply  
24 with both the sulfur and aromatic content limits, the small  
25 refiner volume limits for 20 percent aromatic content fuel

1 becomes effective for three small refiners on October 1,  
2 1994.

3           These three small refiners are Kern Refining,  
4 Paramount, and Powerine. These three small refiners are  
5 currently meeting the sulfur requirements of the regulation.

6           Today's proposal deals with the volume provisions  
7 for small refiner diesel fuel that the Board set in 1988.  
8 The staff has proposed changes that would establish more  
9 representative exempt volume limits, delay the effective  
10 date of the volume limits from October 1, 1994 to January 1,  
11 1995, and clarify the volume limits for the last quarter of  
12 1994.

13           These changes are proposed to avoid limitations on  
14 production of diesel fuel during a time of historic high  
15 demand, and to ensure that the original intent of the Board  
16 in adopting the small refiner provisions is met.

17           The changes will further ensure that the final  
18 phase of the reformulated diesel fuel rule is implemented  
19 smoothly.

20           Because of the concerns about how any change in  
21 the regulations may affect the competition situation between  
22 refiners, I expect that we may well hear divergent views on  
23 how the regulation should be modified.

24           I also note that I took a look at the witness  
25 list, and we have a long witness list this morning.



1           In 1988, the Board understood that the diesel fuel  
2 regulations were an essential part of the Air Resources  
3 Board's overall strategy to reduce pollutants from motor  
4 vehicles. In developing this control measure, staff  
5 determined that a 10 percent aromatic limit was technically  
6 feasible and would result in substantial emissions  
7 reductions in oxides of nitrogen and particulate matter.

8           However, when determining costs, it soon became  
9 apparent that the various sectors of the California refining  
10 industry -- small, independent, and large -- would be  
11 affected economically to varying degrees.

12           The higher cost of producing low-aromatic diesel  
13 fuel for small refiners compared to larger refiners created  
14 concerns over equity and the ability of small refiners to  
15 participate in the diesel fuel market.

16           The Board intended to avoid a regulation that  
17 would push small refiners out of the diesel market and would  
18 eliminate their contribution to the marketplace.

19           These concerns over equity and participation in  
20 the market led the Board to adopt less stringent standards  
21 for small refiners. The proposal before us today does not  
22 affect this portion of the rule.

23           However, in 1988, the Board also sought to limit  
24 the impact of small refiner diesel fuel on the environmental  
25 benefits of aromatics regulation to the extent possible.

1 That is why limits were imposed on small refiners' diesel  
2 fuel production volumes.

3 In today's item, we will be considering  
4 modifications to how the volume restrictions for small  
5 refiners should be set. At this point, I'd like to ask Mr.  
6 Boyd to introduce the item and begin the staff's  
7 presentation.

8 Mr. Boyd?

9 MR. BOYD: Thank you, and good morning, Board  
10 members.

11 I'd like to start this item by just giving a  
12 little brief background on what brings us to today's  
13 proposal.

14 I think all of us know that clean diesel is indeed  
15 an essential part of California's clean air strategy, and  
16 that we indeed need it to meet both the federal and State  
17 law requirements.

18 As you know, clean diesel achieves 70 tons per day  
19 reduction in NOx emissions, as well as 20 tons per day in  
20 PM10, and 80 tons per day reductions of SOx, sulfur  
21 emissions.

22 And, as you know, in addition, clean diesel fuel  
23 reduces toxic compounds that find their way into diesel  
24 exhaust. When the Board adopted the regulation in 1988, we  
25 recognized, all of us, the limited financial strength of

1 refiners, and accommodated that limited financial strength  
2 in the regulation.

3 In general the diesel regulations, as you know,  
4 that large refiners meet the 10 percent aromatic hydrocarbon  
5 limit and the small refiners can produce fuel that meets a  
6 20 percent standard. This differential was seen as adequate  
7 to level the financial playing field.

8 However, small refiners can produce 20 percent  
9 diesel fuel only up to a calculated production volume cap  
10 that we have called the -- or known as the exempt volume.

11 The intent of this provision was to finally  
12 equalize the cost of compliance with the regulations between  
13 the small and the large refiners without unduly compromising  
14 the air quality benefits of the regulation. In addition,  
15 the Board established the exempt volume limit to prevent  
16 small refiners from taking advantage of the regulation to  
17 expand their market share beyond their historic motor  
18 vehicle diesel fuel production level.

19 Now, over the past year, since passage and  
20 implementation of this regulation, small refiners have met  
21 with the staff frequently -- and, frankly, it has seemed  
22 continuously -- to discuss their concern with the small  
23 refiner exemption volume limit.

24 They believe that the limits in the original  
25 regulation are overly restrictive, in that they do not

1 reflect the small refiner's historic ability to produce  
2 motor vehicle diesel fuel. They maintain that the result of  
3 this approach is not commensurate with the Board's original  
4 intent.

5 So, in April of this year, we held a workshop to  
6 discuss the issues raised by the small refiners. Our review  
7 of the regulatory requirements and our evaluation of the  
8 extensive workshop discussions and our other discussions  
9 finally led us to conclude that the small refining sector  
10 has changed very significantly since passage of our  
11 regulation in 1988.

12 We further concluded that the methodology  
13 recommended by the staff and adopted by the Board in 1988,  
14 does not really adequately put into effect the original  
15 intent of limiting small refiners to historical levels.

16 These findings led us to the decision to recommend  
17 amendments to the 1988 regulation, and that's what we've  
18 brought before you today.

19 In our view, the amendments proposed do not  
20 represent a fundamental change in the original regulation;  
21 rather, they are, to some degree, fine-tuning based on these  
22 recent findings that I mentioned.

23 First, the amendments would add a new option,  
24 allowing small refiners an alternate method for calculating  
25 their exempt volume limit. There are other amendments

1 proposed that would clarify production volumes for the last  
2 quarter of 1994, and advance the effective date of exempt  
3 volume limit from October 1, '93 to January 1, 1994. I  
4 think those dates are in error.

5           Since the staff report was released, we've  
6 continued our discussion of the proposed changes with  
7 affected refiners. During this process, we have received  
8 additional information on the historical supply and current  
9 cost that have convinced once again that additional modest  
10 changes to the original proposal should be made. And these  
11 will be discussed with you in the staff's proposal.

12           The amended staff proposal is designed to provide  
13 flexibility to small refiners while adhering to the original  
14 principles upon which the Board's 1988 rule was based.

15           In addition, the proposed move of the effective  
16 date of the volume limit to a lower fuel demand period is  
17 based upon our experience with the October, 1993 rule  
18 effected in the State. In other words, we have no intention  
19 of ever starting a fuel rule the month of October of any  
20 year at any point in time, while any of us is here.

21           (Laughter.)

22           SUPERVISOR BILBRAY: Alive.

23           (Laughter.)

24           MR. BOYD: It is preferable to implement volume  
25 limits in a low demand period rather than in a period that

1 proved to be a high demand period. Even though at the time  
2 our intent was to make our rule effective at the same as  
3 EPA, we will not be guided by that ever again.

4 With that introduction, I'll now ask Dean Simeroth  
5 to present our proposed amendments and give you additional  
6 background on what led us to our recommendation.

7 Mr. Simeroth, if you would, please.

8 MR. SIMEROTH: Thank you, Mr. Boyd.

9 Good morning, Chairwoman Schafer, members of the  
10 Board.

11 Here today, we'll cover why we have the diesel  
12 fuel regulations, what they are, what is the small refiners'  
13 issue, a description of the proposed regulation amendments  
14 to address this issue and their effects.

15 Why do we need the diesel fuel regulations?

16 California has severe air quality problems. The  
17 ozone air quality standard is violated widely throughout the  
18 State. And the State PM10 standard for particulate matter  
19 is violated virtually everywhere in the State, except for  
20 one county.

21 Diesel vehicles only constitute approximately four  
22 percent of the motor vehicle fleet; but in the 1990  
23 inventory, they contributed 39 percent of the mobile source  
24 emissions of oxides of nitrogen, 61 percent of the directly  
25 emitted matter from mobile sources, 34 percent of the sulfur

1 dioxide emissions.

2 Today, with the diesel sulfur regulations in  
3 effect, the 34 percent has become six percent.

4 In terms of the benefits of the diesel fuel  
5 regulation, if fully implemented as adopted, we reduce  
6 sulfur dioxide emissions by 80 tons per day, particulate --  
7 that is, directly emitted particulate matter, 20 tons per  
8 day, oxides of nitrogen by 70 tons a day.

9 Later, I will present the impact of the staff's  
10 proposal on these benefits.

11 Currently, we estimate that the total capital  
12 investments to produce complying diesel fuel are  
13 approximately \$150 million. This results in an estimated  
14 cost per gallon to comply of 6 cents.

15 The diesel regulations set the sulfur content  
16 limit at 500 parts per million by weight for both on- and  
17 off-road fuel, aromatic hydrocarbon content limits of 10  
18 percent by volume for large refiners, and 20 percent by  
19 volume for small refiners.

20 The regulation also allows for certification of  
21 equivalent alternative formulations for both aromatic  
22 limits. We had a general implementation date of October  
23 1st, 1993.

24 Small refiners had some additional requirements,  
25 the production of the 20 volume percent aromatic diesel fuel

1 is limited to 65 percent of a refiner's base year distillate  
2 volume. A base year distillate volume was defined and  
3 determined as the average of the three highest distillate  
4 productions from '83 to '87. One company was allowed base  
5 years of '89 to '90, because they were not in operation the  
6 previous years.

7 Finally, a suspension from the regulation was  
8 provided for qualifying small refiners to delay the  
9 regulation from October 1st, '93 to October 1st, 1994.

10 Three small refiners qualified for the suspension. And, as  
11 noted earlier, they are fully complying with the sulfur  
12 requirements, but the aromatic hydrocarbon content  
13 requirements they will not comply with until October 1st,  
14 '94.

15 The Air Resources Board intent, when originally  
16 adopting the small refiner provisions, were to provide  
17 fairness and equity to all refining sectors, recognize the  
18 small refiners' role in the diesel fuel marketplace; that  
19 is, generally, the more competition in the marketplace, the  
20 better; and limit the small refiner production of 20 volume  
21 percent aromatic diesel fuel to preserve the benefits of the  
22 regulation.

23 In terms of the small refiners' issue here to  
24 consider today, is the small refiner exempt volume provision  
25 still appropriate in the light of current conditions?



1 Staff held a workshop on April 21st, 1994, to  
2 solicit comments on the smaller refiner issue and used the  
3 information to develop the proposals contained in the staff  
4 report.

5 Among others, staff findings were that the  
6 California refining sector has changed. Today, there are  
7 fewer small refiners producing motor vehicle diesel fuel.  
8 Refiners in general utilize capacity, refining capacity, to  
9 a greater extent than they did in the early to mid-eighties.

10 Finally, most distillate produced by small  
11 refiners is motor vehicle diesel fuel. And this is  
12 addressing the 65 percent distillate volume limitation.

13 In developing the proposal in the staff report,  
14 staff recognized that small refiners produce almost all --  
15 on average, approximately 96 percent of their distillate  
16 production is motor vehicle diesel fuel. Staff proposed  
17 that refiners could remain subject to current provisions or  
18 choose to produce diesel fuel up to 100 percent of their  
19 historical distillate production and have that historic  
20 distillate production limited.

21 Subsequent to the release of the staff report,  
22 staff evaluated additional information obtained from the  
23 California Energy Commission to determine historical  
24 operating trends for refiners.

25 The small refiners provided additional information

1 to show the economic effect of the staff's original  
2 proposal. Upon reevaluation of the proposed amendments,  
3 staff determined that it is appropriate to modify the  
4 original staff proposal.

5 The key consideration by staff in developing the  
6 modified proposal is how refinery operations have changed  
7 with time.

8 Shown here is how refinery operations have changed  
9 in the past 10 years in terms of utilization of refinery  
10 capacity.

11 Generally, the overall utilization rate -- that  
12 is, the proportion of the capacity that is used -- has  
13 increased from about 65 percent in 1983, to over 90 percent  
14 in 1992.

15 However, small refiners have not kept pace, at  
16 least through 1992. In 1992 and before, small refiners were  
17 either in bankruptcy, suffering frequent periods of  
18 nonoperation, or generally operating less efficiently than  
19 the industry as an average. That is, they had significantly  
20 lower utilization rates.

21 If small refiners are constrained to utilization  
22 rates that existed in 1992 and before, they will be locked  
23 into an inefficient mode of operation.

24 In recognition of how refinery operations have  
25 changed and small refiners produce distillate primarily as

1 motor vehicle diesel fuel, we are proposing that the small  
2 refiner diesel fuel exempt volume limit provisions be  
3 changed so that the small refiner exempt volumes be  
4 established through the use of each small refiner's crude  
5 capacity, the industry average utilization of crude  
6 capacity, approximately 90 percent; each small refiner's  
7 ratio of distillate product to crude input; and the average  
8 small refiner's diesel fraction of distillate produced.

9 It should be noted that we're not proposing that  
10 the sulfur limit and the 20 percent aromatic standards that  
11 are required on October 1st, '94 be delayed.

12 Small refiners will still have to comply with  
13 these limits on October 1st. Staff is proposing to delay  
14 the small refiner exempt volume limits to January 1st, 1995,  
15 to avoid implementation during the high diesel demand  
16 period. We're also proposing to clarify that small refiners  
17 can produce 10 volume percent aromatic diesel while  
18 producing 20 volume percent aromatic diesel. This is to  
19 encourage production of 10 percent complying diesel.

20 It should be noted that small refiners must --  
21 excuse me. I already said that.

22 If the current regulation is implemented with no  
23 change, small refiners would be allowed to produce  
24 approximately 11,000 barrels per day of 20 percent aromatic  
25 diesel. Under the staff's modified proposal, this number

1 would become 23,700, approximately, barrels per day.

2           It's staff's estimate that the average cost for  
3 the small refiner compliance 7.5 cents per gallon. To the  
4 extent that production cost is higher for small refiners  
5 than for the large refiners, the 6 cents indicated earlier  
6 in the presentation, the proposal is not a guarantee of a  
7 market share for the small refiners.

8           In terms of the rationale for the staff's  
9 proposal, the proposal should correct problems with the  
10 current regulation in the proposal and the staff report in  
11 determining the small refiner exempt volume.

12           The proposal does not create an unfair advantage.  
13 The proposal reflects a need for refiners to operate at  
14 greater efficiency.

15           In terms of environmental impact of today's  
16 proposal, increasing the small refiner volumes -- that is,  
17 the 11,000 to the 23,700 -- could reduce emission benefits  
18 by up to 3 tons per day oxides of nitrogen and up to six-  
19 tenths of one ton per day of directly emitted particulate  
20 matter. Also, it needs to be noted that, for the last  
21 quarter -- calendar quarter, while we awaiting  
22 implementation of the exempt volumes, small refiners would  
23 operate at higher levels -- could operate at higher levels  
24 in the 23,700.

25           This would result in a temporary increase or

1 temporary reduction in emission benefits. Emission benefits  
2 during this temporary time period of the three months -- the  
3 reduction in emission benefits -- excuse me -- during this  
4 three-month time period would be 5.8 tons per day of NOx and  
5 1.3 tons per day of particulate matter.

6 At the end of the -- come January 1st, the end of  
7 the three months time period, the numbers shown on the slide  
8 would then apply thereafter.

9 In the staff's view, the economic benefits  
10 outweigh the potential adverse environmental effects. The  
11 benefits are summarized. The proposal provides an  
12 opportunity for small refiners to operate at an efficient  
13 level, promotes competition in the marketplace, and would  
14 allow independent marketers continued access to their  
15 traditional suppliers.

16 In summary, the staff proposal is that there be no  
17 change in the requirement for the small refiners to comply  
18 on October 1st, '94, with the 20 volume percent aromatic  
19 standard; proposing an increase in the small refiner exempt  
20 volume, as discussed today; proposing a delay in  
21 implementation of the volume limitation of the small  
22 refiners from the high diesel demand period to a low diesel  
23 demand period; and clarify the regulation so that we can  
24 encourage the production of 10 volume percent complying  
25 diesel by small refiners.

1           In closing, we recommend that the Board adopt the  
2 staff's proposal as presented today.

3           I'd like to add that the staff proposal, as  
4 presented, is on the table in the back of the room, the  
5 document dated July 29th, 1994. It's two pages. Thank you.

6           CHAIRWOMAN SCHAFFER: Thank you very much, Mr.  
7 Simeroth.

8           Do Board members have any questions for staff at  
9 this point?

10          MR. LAGARIAS: I have a question.

11          CHAIRWOMAN SCHAFFER: Yes, Mr. Lagarias.

12          MR. LAGARIAS: Mr. Simeroth, in that 20 percent  
13 aromatics that small refiners are required to produce, does  
14 that also include within it any of the 10 percent aromatic  
15 fuel that the small refiners are encouraged to produce? Or  
16 is that separate?

17          MR. SIMEROTH: The proposal today would have those  
18 two separate, so that they would not be discouraged from  
19 producing 10 percent if they could.

20          MR. LAGARIAS: Well, it seems to me that if you're  
21 limiting 20 percent, that everything under that, even 10  
22 percent is part of the 20 percent, because that doesn't give  
23 us a cap on the additional fuel.

24          MR. SIMEROTH: The current regulation reads the  
25 way you're describing it, Mr. Lagarias. It would include

1 the 10 percent as part of the 20.

2 MR. LAGARIAS: Now, wait a minute. Which are you  
3 saying? It does include or it doesn't include it?

4 MR. SIMEROTH: The current regulation, as it is on  
5 the books today --

6 MR. LAGARIAS: Includes it.

7 MR. SIMEROTH: -- includes the 10 percent as part  
8 of their 10 percent volume.

9 MR. LAGARIAS: And you're proposing to take --  
10 give, in addition to that 20 percent, whatever 10 percent  
11 fuel the small refiners produce.

12 MR. JENNINGS: Mr. Lagarias, perhaps I could  
13 clarify the point.

14 Under the regulation, as it now stands, you look  
15 at the diesel fuel coming out, the California motor vehicle  
16 diesel fuel coming out of the small refinery starting at the  
17 first of the year. And every batch of that is counted  
18 against the 20 -- the exempt volume until they reach the  
19 ultimate.

20 What the staff is proposing is a modification,  
21 which would allow small refiners to designate batches during  
22 that period as being subject to the regular 10 percent  
23 aromatics limit rather than the 20 percent aromatics limit.

24 There would be no increase in the amount of 20  
25 percent aromatics diesel fuel they could produce. And in

1 the regulation on sulfur content in the South Coast Air  
2 Basin, the small refiner provisions did have a provision  
3 allowing that batch-to-batch designation.

4 It was taken out of the aromatics regulation to  
5 simply matters, but the smaller refiners had said that that  
6 could give them more flexibility, but it would not increase  
7 the total volume that could be subject to the 20 percent  
8 limit.

9 MR. LAGARIAS: Thank you.

10 CHAIRWOMAN SCHAFER: Dr. Boston?

11 DR. BOSTON: Dean, I was unclear. Is that 20  
12 percent allowance unlimited, indefinite? Does it go on  
13 forever, or is there a statutory date when it stops?

14 MR. SIMEROTH: The 20 percent allowance to the --  
15 in terms of the exempt volumes, could go on forever. They  
16 can apply each year to renew it.

17 DR. BOSTON: Didn't the original bill have a limit  
18 on when that sunsetted?

19 MR. SIMEROTH: The independent refiners were  
20 allowed a temporary use of the 20 percent provision, and  
21 that was sunsetted.

22 The small refiner provision for the 20 percent  
23 originally did not have a sunset.

24 CHAIRWOMAN SCHAFER: Are there any other  
25 questions?



1 Yes, Mr. Calhoun.

2 MR. CALHOUN: I believe that the staff report  
3 states that there are four small refiners now, and that's  
4 down from -- you may have said -- from what number?

5 MR. SIMEROTH: 14.

6 MR. CALHOUN: From 14? And that's over a period  
7 of how many years? It was 14. How many years --

8 MR. SIMEROTH: 14 in 1988.

9 MR. CALHOUN: And it's down to four now; is that  
10 correct?

11 MR. SIMEROTH: Four today producing motor vehicle  
12 diesel fuel.

13 MR. CALHOUN: Thank you.

14 MR. SIMEROTH: There are other small refiners  
15 producing other products, but not diesel

16 CHAIRWOMAN SCHAFER: Yes, Ms. Edgerton.

17 MS. EDGERTON: What percent of the diesel market  
18 is provided by the small refiners?

19 MR. SIMEROTH: Approximately 15 percent. The  
20 number varies slightly from year to year.

21 MS. EDGERTON: Did that go down with the reduction  
22 in the number of small refiners from 14 to 4? Or did that  
23 stay the same?

24 MR. SIMEROTH: Generally, the volumes supplied by  
25 the small refiners have decreased with time. In 1983, the

1 small refiner share of the distillate market was 27 percent.  
2 And they're down approximately to 15 percent today.

3 MS. EDGERTON: You -- thank you. You indicated  
4 that there is a particular small refiner's role in the  
5 diesel fuel marketplace. What is that role?

6 MR. SIMEROTH: The information supplied by the  
7 small refiners indicate that they primarily serve  
8 independent oil marketers and serve accounts directly. And  
9 they have no branded outlets, per se. They're supplying the  
10 independents, if you want to look at it that way.

11 MS. EDGERTON: Who do those -- which Californians  
12 do those independents then provide diesel to?

13 MR. SIMEROTH: Unbranded retailers, fleet users,  
14 agricultural accounts, trucking firms, construction firms,  
15 usually -- in terms of the nonretail outlets, it would be  
16 small accounts that usually are not attractive for large  
17 refiners to supply.

18 MS. EDGERTON: Of those end users in California,  
19 can you pinpoint a particular sector that uses the most?  
20 For example, small farmers, agriculture. Is there some  
21 construction? Is there some sector that uniquely uses this  
22 supply?

23 MR. SIMEROTH: I'm not sure that we can say that  
24 there's a sector that uniquely uses the supply. The  
25 situation is too complex to totally -- to generalize quite

1 that way. You know, some construction outfits will get from  
2 Chevron and Shell jobbers as well as they'll get from  
3 independent marketers.

4 Usually, the sector that gets supplied by the  
5 independents is one where they're providing a service as  
6 well as the product. And they're getting relatively small  
7 volumes delivered on site. You're going out to the farm  
8 with your truck and delivering the fuel there or going to  
9 the construction site and delivering the fuel there type  
10 thing.

11 MS. EDGERTON: Is this a sector of the market  
12 which large refiners, through their delivery systems,  
13 compete for?

14 MR. SIMEROTH: Generally, there's competition in  
15 this area between the smaller refiners and the large  
16 refiners. The independent marketers -- we're sort of  
17 talking --

18 MS. EDGERTON: I realize it's difficult. Sorry.  
19 These are very difficult questions.

20 MR. SIMEROTH: The competition we're talking about  
21 is like one level down below the refiners. It's  
22 intermediate distributors who are going out competing head  
23 to head against each other.

24 And it's who these intermediate distributors are  
25 supplied by -- a lot of them are supplied by small refiners,

1 but they are also supplied by major refiners.

2 MR. BOYD: Ms. Edgerton? Madam Chair, if I might  
3 elaborate.

4 CHAIRWOMAN SCHAFFER: Mr. Boyd.

5 MR. BOYD: Ms. Edgerton, I think you will probably  
6 hear today, and you probably have read and heard in the  
7 past, that the majors, oil producers, can produce -- when  
8 you deal in averages, they can produce -- I'm sure they will  
9 say they can produce enough fuel to meet the demand, the  
10 historical documented demand in the State of California.

11 And when you deal in averages, that's pretty easy  
12 to see. What our painful experience is, is that the diesel  
13 market in California is extremely complex, diverse; it's  
14 very geographical, and the transportation system for moving  
15 fuels around doesn't necessarily have enough arteries and  
16 capillaries to get fuel everywhere it needs to go.

17 So, the independent marketers are very important  
18 and the independent refiners, the small refiners, seem to  
19 deal with these people to a very large degree as well as  
20 with direct accounts in agricultural, construction, and what  
21 have you.

22 And it's our feeling that, without the combination  
23 of the two, we just haven't been able in the past -- even  
24 though, on average, you could oversupply the State -- to get  
25 the fuel to market without the whole system in place and

1 operating.

2           And there probably will be witnesses who would  
3 attest to that, and we certainly have had that experience in  
4 the past. And perhaps the refiners could even speak to it  
5 better than we can.

6           But, in observing, and watching, and listening for  
7 quite some time, it does seem to take the sum of all parts  
8 to make the system work entirely and to make sure that  
9 everyone is supplied. There are certainly areas where small  
10 refiners and major refiners go head to head. There's no  
11 doubt about that. But there are other areas where it seems  
12 that only the smaller refiner provides the supply for a  
13 certain geographical area or a certain economic activity in  
14 a particular area.

15           So, it's extremely diverse, complex, and hard to  
16 get a handle on, frankly, other than in the aggregate and  
17 from experience.

18           MS. EDGERTON: That's very helpful. Thank you.

19           And, as is sometimes my wont, I have a followup.  
20 What geographic areas -- I mean, I don't want to put you on  
21 the spot, because it's a very big State, but is there any --  
22 do you have any sense of what geographical areas tend to  
23 wind up unserved?

24           MR. BOYD: Well, I'll venture my recollection and  
25 views, and the staff certainly has a closer hand on this.

1           Certainly, Northern California seems to have more  
2 extreme problems whenever there's a supply difficulty. And  
3 some parts of the Central Valley, the San Joaquin Valley, as  
4 well, depending upon the ability of pipelines to get  
5 adequate fuel to certain spots.

6           So, we had, during the last crisis, plenty of fuel  
7 in total. But we had deficiencies in spots all over the  
8 State. And it's the inability of the system to, you know,  
9 to totally reach those points, and the need for other  
10 alternative ways of getting it to those points that we have  
11 seen is quite critical to the, you know, the economic  
12 machine that's out there.

13           MS. EDGERTON: Thank you.

14           CHAIRWOMAN SCHAFER: Mr. Simeroth, did you want to  
15 elaborate?

16           MR. SIMEROTH: I guess what I could add is --  
17 three small refiners; one is located in Bakersfield -- or  
18 actually, two of the four small refiners are located in  
19 Bakersfield and two are in the Los Angeles area.

20           It's no secret there's only three refiners  
21 operating in the Bakersfield/Kern County area -- one major  
22 and two small refiners. That area could be impacted to some  
23 degree.

24           Probably the most result would be the ability of  
25 independent marketers to obtain suppliers. A lot of the

1 independent marketers buy fuel on the spot market. They  
2 have no long-term contracts with any particular refinery,  
3 and they also tend to buy heavily from the small independent  
4 refineries. And how that would be affected would depend  
5 upon a lot of things. But, certainly, it would be affected.

6 CHAIRWOMAN SCHAFFER: Are there any other questions  
7 for the staff from Board members at this time?

8 If not, I'd like to begin hearing witnesses, and  
9 I'd like to begin with Susan Brown of the California Energy  
10 Commission.

11 Ms. Brown?

12 MS. BROWN: Good morning.

13 CHAIRWOMAN SCHAFFER: Good morning.

14 MS. BROWN: My name is Susan Brown. I'm the  
15 Deputy Chief for Forecasting for the California Energy  
16 Commission.

17 Our commission is responsible for the State's  
18 official forecasts of the supply, demand, and price of  
19 electricity, natural gas, petroleum, and other fuels,  
20 including diesel fuel.

21 In addition, we maintain a confidential database  
22 under State law, under the provisions of the Petroleum  
23 Industry Information Reporting Act. I've been asked today  
24 to make a brief presentation on the current capability of  
25 our refineries to make and produce low sulfur/low aromatic

1 diesel fuel.

2           The information I'm presenting is based on the  
3 confidential PIIRA data, our review of the compliance plans  
4 filed with the ARB staff, meetings with individual refiners  
5 that we have conducted over the last several weeks with your  
6 staff, and a recent telephone survey. So, the information I  
7 am providing today I hope will provide a factual context for  
8 the decision that your Board will be making.

9           I want to emphasize some of the points that Mr.  
10 Simeroth has made, the first being that the State's refinery  
11 out look has changed substantially since the 1980s. And if  
12 I can see the first slide, Craig?

13           Refining capacity has been reduced in large part  
14 due to small refinery closures. And since 1982, at least 10  
15 refineries have closed in California. Meanwhile, the demand  
16 for petroleum and petroleum products has increased over the  
17 last two years, largely due to population gains and as a  
18 result of economic growth.

19           Production at the State's refineries has increased  
20 due to higher utilization rates, as shown in this slide, and  
21 greater operating efficiencies. Utilization rates during  
22 the 1992 to 1993 period went from, on average, 71 percent to  
23 95 percent, approximately, in 1993. I believe your staff  
24 was estimating about 90 percent in 1991. So, I believe  
25 we're generally consistent.



1           Distillation capacity -- that is, the capacity to  
2 produce crude oil into petroleum products -- has decreased  
3 during the same period about 23 percent. But, again, with  
4 higher utilization rates, our refineries are still producing  
5 sufficient diesel fuel to meet the projected statewide  
6 demand.

7           Next slide, please.

8           I apologize. This is in your packet, Board  
9 members. I think you've got the top half of the slide.

10           Of the 24 operating refineries in California, 13  
11 are producing diesel fuel to meet the Air Resources Board  
12 fuel specifications. Based on our best estimates of current  
13 State production, our refineries can produce an average of  
14 167,000 barrels per day of complying fuel.

15           I think what this shows, if you can read this  
16 slide -- and I apologize. It's not very readable for the  
17 people in the audience. But of the 13 refineries, as you  
18 know, some are operating under variances, and they're  
19 indicated by, I believe, the RV on the slide.

20           Others are making fuel to the alternative  
21 formulation, and a third group is making complying diesel  
22 fuel meeting the specifications.

23           Lastly, I just want to comment that the State's  
24 refineries have the flexibility to produce more than the  
25 average volume that I quoted, the 167,000 barrels per day,

1 during high seasonal demand periods. And based on our  
2 estimates and our analysis, we are estimating that about  
3 204,000 barrels per day can be produced during high demand  
4 periods.

5 Next slide.

6 This point was dramatically demonstrated during  
7 the fourth quarter of 1993, when your Board's diesel  
8 requirements took effect. The industry produced  
9 distillates, which is, incidentally, about 95 percent  
10 diesel, at a rate 18 percent higher than the average yearly  
11 production.

12 So, in summary, the refiners are capable of  
13 producing diesel to meet California's motor vehicle fuel  
14 market, and there is flexibility built in to overproduce  
15 during high demand periods.

16 And with that, I'll close, and ask if there are  
17 any questions.

18 CHAIRWOMAN SCHAFFER: Ms. Brown, what share of the  
19 drop in capacity to refine over, say, the past ten years is  
20 due to the loss of small refiners, and what percent would be  
21 due to the fact of the imposition of our diesel regulation  
22 makes the yield from a refiner somewhat less?

23 MS. BROWN: I think that's a very difficult  
24 question to -- if you're asking me the reasons why small  
25 refineries have closed --

1 CHAIRWOMAN SCHAFFER: No. I was just wanted to  
2 know -- you talked about the capacity to refine has gone  
3 down, and some of that is due to the loss of small refiners.

4 MS. BROWN: Uh-huh.

5 CHAIRWOMAN SCHAFFER: But, also, some of it is, I  
6 think, due to the fact that the yield from a given refinery,  
7 because of the complexity of producing reformulated fuel is  
8 also a factor.

9 MS. BROWN: I'm going to have a difficult time  
10 responding to that without doing some further research.

11 CHAIRWOMAN SCHAFFER: Okay. Does the staff, ARB  
12 staff?

13 MR. SIMEROTH: Chairwoman, we don't have that  
14 quantified.

15 CHAIRWOMAN SCHAFFER: Okay.

16 MR. SIMEROTH: We know that, of the smaller  
17 refiners who are remaining in business, four are producing,  
18 but there are about four others who could have been  
19 supplying diesel fuel in the market if our regulations had  
20 not been in place. The amount of diesel fuel typically from  
21 these refiners -- types of refiners would be very small.

22 It would be more or less a byproduct from them  
23 producing other products that they produce. They're not in  
24 business to really produce diesel fuel. That was something  
25 that they sold as a byproduct.

1           A lot of that -- what was a product is now being  
2 sold to refineries who are producing complying fuel, and is  
3 used as a feedstock into those refineries. So, you can't  
4 say it's really off the market. It's getting into the  
5 market in different routes.

6           CHAIRWOMAN SCHAFFER: Was there a reduction in the  
7 capacity of those refineries, which continued in the market,  
8 to produce diesel as a result of the more complex refining  
9 requirements?

10          MR. SIMEROTH: I'd have to --

11          CHAIRWOMAN SCHAFFER: As I understand it, this is  
12 going to be an issue in reformulated gasoline. I'm just  
13 trying to determine whether it is in diesel. I can't  
14 recall.

15          MR. SIMEROTH: It varied from refinery to  
16 refinery. Some refineries actually increased their ability  
17 to produce diesel and some had some decreases in their  
18 ability to produce diesel.

19                By and large, none of them really produced less  
20 diesel. They're producing less diesel for the California  
21 market. The remainder of the diesel was being exported out  
22 of State -- Arizona, Nevada, Pacific Northwest, overseas,  
23 and so on. Total California production of diesel has  
24 remained about the same, except for the impact of some of  
25 the smaller refineries closing.

1 MR. LAGARIAS: Madam Chair?

2 CHAIRWOMAN SCHAFER: Yes, Mr. Lagarias.

3 MR. LAGARIAS: Ms. Brown, at a 94 percent  
4 utilization rate of the refineries today, they're pretty  
5 near up to capacity.

6 MS. BROWN: That's right.

7 MR. LAGARIAS: How do they make the increased  
8 volume during the high demand period if they're already up  
9 to a 94 percent utilization rate?

10 MS. BROWN: Well, they often shift the slate of  
11 products to make more diesel and, say, less of something  
12 else, less gasoline, less aviation gas, for example.

13 MR. LAGARIAS: All right. If one or two of the  
14 major or the large refineries were to go down for some  
15 reason or other, would the capacity of the industry to  
16 produce diesel fuel be impaired so dramatically that it  
17 could not meet the peak demand periods?

18 MS. BROWN: That is obviously a concern with fewer  
19 refineries in the market; that if one large refinery -- one  
20 of the large refineries that's producing the bulk of the  
21 diesel fuel were to go down in an unanticipated outage, that  
22 there could be problems. If not producing sufficient  
23 quantities, then there might be problems in the distribution  
24 system in getting -- and I think we saw some of those --

25 MR. LAGARIAS: Yes, indeed.

1 MS. BROWN: -- occurrences, as you know -- I know  
2 you know well, Mr. Lagarias -- back in the fall of '93. So,  
3 that is a concern.

4 MR. VENTURINI: Mr. Lagarias, if I may just add to  
5 that, one of things that refiners also use to help is  
6 inventory. And we, and actually the Energy Commission in  
7 cooperation with us, are tracking not only production, but  
8 inventories. And when you look at these over time, you see,  
9 as inventories drop, then production goes up; as inventories  
10 get near the max, the production drops. And the refineries,  
11 if they have -- going to have a scheduled downtime, they  
12 will tend to increase their inventories to cover that period  
13 when they're down.

14 So, it's a combination of production and their  
15 inventories that allow them to get through the peaks that  
16 occur.

17 MR. LAGARIAS: And one last question. When you  
18 say 94 percent utilization rate, you're talking about the  
19 total refinery; you're not talking about --

20 MS. BROWN: Yes.

21 MR. LAGARIAS: -- diesel.

22 MS. BROWN: I'm talking the total refinery, and  
23 I'm giving you a statewide average, which I think, as Mr.  
24 Simeroth pointed out, varies from refinery to refinery,  
25 depending on the type of refinery, whether it's complex or

1 not.

2 MR. LAGARIAS: Thank you.

3 CHAIRWOMAN SCHAFER: Ms. Edgerton?

4 MS. EDGERTON: I think Mr. Lagarias has raised a  
5 very important point.

6 Let me just make sure that I understood your  
7 expert advice on this.

8 In your opinion and the opinion of the Energy  
9 Commission, are these additional -- are the small refiners--  
10 is their volume contribution necessary for a continued  
11 economic recovery of California? Do they occupy this rare -  
12 I mean a particular corner of the market that's especially  
13 essentially? Where do you see them fitting in?

14 You heard my line of questions before.

15 MS. BROWN: I did hear your line of questions, and  
16 I was listening very carefully to what you were asking.

17 I think Mr. Simeroth pointed out that the  
18 independents and small refiners serve a different market in  
19 some cases than the large refiners. The independent oil  
20 marketers, I believe, are planning to testify later this  
21 morning on that point.

22 They tend to serve rural areas, lower volume  
23 stations, unbranded stations. So, they do have a market  
24 niche. Now, whether -- it's a difficult question to predict  
25 what'll happen in the marketplace. Again, currently, the

1 number of refineries in the marketplace is fewer than  
2 before; however, collectively, they can meet the needs of  
3 the State.

4 The independents are playing a role now. Whether  
5 I think the issuance of the variance will determine what  
6 role they'll play in the future. . .

7 MS. EDGERTON: Thank you. I appreciate that.  
8 It's very difficult.

9 MS. BROWN: I understand what you're asking. I'm  
10 a little bit at a loss to take a position, not having heard  
11 the evidence that I know is going to be presented by parties  
12 that follow me. And I think the independent refiners are  
13 prepared to make their own case this morning.

14 MS. EDGERTON: Well, it's a bit of a crystal ball  
15 I'm asking you to look into.

16 MS. BROWN: Yes.

17 MS. EDGERTON: I appreciate that. And I apologize  
18 for that.

19 MS. BROWN: The market continues to change. There  
20 is intense competition at the retail and distribution level,  
21 We're going to be watching that. You know, we watch these  
22 developments very carefully.

23 But to predict what continued role the  
24 independents will play, I don't have a crystal ball.

25 MS. EDGERTON: And do I take it that you're here



1 today supporting the adoption of the amendment?

2 MS. BROWN: Our Commission has not formally taken  
3 a position on this issue. I'm here to provide some factual  
4 information and evidence for the record to provide an  
5 overview and a context for your deliberations.

6 As a member of the staff, I'm not authorized to  
7 take a position on this matter without a vote of three of  
8 our Commission. And we have not -- this matter has not been  
9 properly put before them.

10 MS. EDGERTON: Because I know the Energy  
11 Commission operates with a charge to secure a diverse energy  
12 mix --

13 MS. BROWN: That's correct.

14 MS. EDGERTON: -- in the State.

15 Thank you.

16 CHAIRWOMAN SCHAFFER: Thank you very much. Are  
17 there any other questions from Board members for Ms. Brown?

18 If not, thank you very much.

19 I'd like now to recognize Mr. Craig Moyer, Western  
20 Independent Refiners Association.

21 Good morning, Mr. Moyer.

22 MR. MOYER: Good morning, Madam Chairwoman,  
23 members of the Board. My name is Craig Moyer. I'm here  
24 today representing the Western Independent Refiners  
25 Association. I'd like to make three points regarding the

1 elements that were balanced to arrive at the staff proposal  
2 presented by Mr. Simeroth this morning.

3 The first is regarding air quality issues. The  
4 second is fairness to all, including the major oil  
5 companies. And the third is the needs of smaller -- the  
6 remaining small refiners to remain viable. Because this is  
7 not just an issue of diesel fuel; this is also an issue of  
8 gasoline and the other petroleum products supplied by these  
9 small refiners.

10 If these small refiners don't remain viable, they  
11 will not only not produce diesel, they will also not produce  
12 reformulated gasoline.

13 Before I get into those three elements, I'd like  
14 to spend a moment to describe how we got there.

15 In 1988, when I was before your Board on this  
16 original rulemaking, there were 14 small refiners. Most of  
17 them are now shut down, probably forever. There are only  
18 four that currently make diesel fuel. And one of those,  
19 Witco, is unique. Witco is unusual as a company and as a  
20 refiner. It is a large, multinational conglomerate with  
21 access to vast capital, unlike the other small refiners.  
22 And it is also unique as a refinery, because it's basically  
23 a lube oil operation, not a fuels refinery, and makes only  
24 500 barrels per day of diesel, 500 currently.

25 When this process began with staff quite some time

1 ago, over a year ago, we had five small refiners that were  
2 still planning to make diesel fuel. Fletcher and Golden  
3 West have since shut down.

4 And over that period of time, we've worked, as Jim  
5 Boyd mentioned, almost continuously with staff, providing  
6 data, providing cost information, providing information on  
7 profitability or, in most cases, the lack of profitability,  
8 providing LP models showing what different scenarios -- what  
9 impacts different scenarios would result in, and the cost to  
10 make 10 percent. Because we really tried to find a way --  
11 if we have a longer period of time, can we then make 10  
12 percent equivalent?

13 And I think we've demonstrated that that,  
14 unfortunately, is not a viable option.

15 Then, staff prepared this proposal, which came out  
16 of June 10th, consistent with a narrow interpretation based  
17 upon historical production. We came back and said, "Thank  
18 you, but, unfortunately, that's not good enough."

19 We were then charged with answering the question:  
20 What is changed? If we're going to go beyond the Board's  
21 original intent of the 1988 rulemaking, why? What has  
22 changed?

23 And the answer is in two areas. One, those years  
24 were horrible for the remaining small refiners. And I'll  
25 talk about that a little bit. And, two, all refiners, large

1 and small refiners both, need to operate at higher  
2 utilization rates for reasons that were not apparent during  
3 the 1988 rulemaking.

4 So, we went through more data, more submittals,  
5 more planes up and down the coast. I'll be very happy when  
6 United gets the lower airfares, so we can shuttle up here  
7 and not spend so much money.

8 And, finally, we're here where we are today to the  
9 staff proposal presented this morning. And we support that  
10 concept presented in the staff proposal. Crude capacity,  
11 utilization, conversion factor of crude to distillate. It  
12 hurts; it hurts a lot. And it's going to cut back -- cut  
13 back, not increase the markets that small refiners have now.  
14 But hopefully, it will be enough to give us volumes adequate  
15 so that these remaining small refiners can survive.

16 I'll come back and niggle on just some proposed  
17 modifications to the implementation of the staff's proposal.  
18 But let me get into the three elements that I promised that  
19 I would talk about, the three balancing items, the three  
20 items that we balanced in order to get here.

21 Start with air quality, because I think that is  
22 the charge for your Board and ought to be among the most  
23 important elements here.

24 In 1988, there were 14 small refiners making  
25 diesel fuel and now there are only four. In 1988, the staff

1 recommended that small refiner volumes be limited to 55  
2 percent of the '83 to '87 distillate.

3 At the hearing in 1988, the Board increased that  
4 percentage from 55 percent to 65 percent, and then added a  
5 provision for Powerine.

6 Based on the foregoing, we've reviewed this matter  
7 with your staff and agreed it would be accurate, but  
8 conservative, to say that, in 1988, the Board approved the  
9 air quality benefits of this rule, anticipating in excess of  
10 25,000 barrels per day small refiner diesel fuel.

11 The revised staff proposal, as you saw, would  
12 authorize less than 25,000 barrels per day small refiner  
13 diesel.

14 In 1988, it was a struggle. But based upon costs,  
15 the importance of small refiners, and other elements, the  
16 Board, in 1988, made the policy call that having a separate  
17 standard for small refiners was appropriate.

18 More air quality benefits could have been obtained  
19 if all diesel fuel were 10 percent aromatics, but the Board  
20 balanced the equities, and concluded that 20 percent small  
21 refiner diesel was appropriate.

22 Because the air quality benefits of this rule were  
23 acceptable anticipating 25,000 barrels per day -- indeed, it  
24 was considered aggressive at the time -- I submit that for  
25 policy purposes, comparing the revised staff proposal with

1 the 1988 rulemaking results in no air quality disbenefit.

2           Although for CEQA purposes, your board may be  
3 required to compare volumes now with the revised proposal,  
4 for policy purposes, the amount of 20 percent diesel fuel  
5 that would be authorized by the revised staff proposal is  
6 less than what was anticipated and deemed acceptable for air  
7 quality purposes by this Board in 1988.

8           Let me make one other brief comment on the air  
9 quality impacts, because I understand what it is that this  
10 Board does. We've worked on RECLAIM. We've been working  
11 very hard on the Federal Implementation Plan, various air  
12 quality management plans, and understand the idea that air  
13 quality regulations in total are a zero sum game.

14           But beginning on October 1, 1994, the diesel made  
15 by small refiners will be cleaner, because they'll be making  
16 20 percent or equivalent fuel. The revised staff proposal  
17 does not worsen air quality.

18           Let me now turn to the fairness issue. And here I  
19 feel a little bit like David talking about a fair fight with  
20 Goliath. I don't have a slingshot, but smaller refiners do  
21 have a number of things going for them. You'll hear from  
22 some of our customers about that later.

23           But what the small refiners do not have is a price  
24 advantage, and they will not gain any price advantage from  
25 the revised staff proposal. The cost of producing 20

1 percent equivalent diesel has been estimated by staff to be  
2 7.5 cents per gallon.

3 The cost to majors to make 10 percent equivalent  
4 is 6 cents per gallon. Accordingly, it is not cheaper,  
5 easier, or unfairly competitive for smaller refiners to make  
6 20 percent diesel. It's more expensive than the majors  
7 cost. There's no guarantee of any market share then, let  
8 alone an increased market share for small refiners.

9 The only market share issue here is how much of  
10 the market will this regulation take away from the small  
11 refiners and give to the major oil companies?

12 It is the market share of small refiners that will  
13 be frozen here for eternity at a number lower than the  
14 current volumes, not the major oil companies.

15 And because there's no price advantage to smalls,  
16 there's no guarantee that we'll be able to sell even these  
17 volumes that will be authorized if you adopt some version of  
18 the staff proposal. Nor did the majors have any right to  
19 anticipate that they would get more of the small refiners'  
20 volume. The same argument on the pools of small refiner  
21 diesel fuel that I made with regard to air quality is  
22 appropriate here.

23 The pool that would be provided under the staff  
24 proposal is less than what the majors could have anticipated  
25 back in 1988. You may hear later today from the major oil

1 companies about the need for certainty. This proposed rule  
2 has no direct impact on them.

3 They can still make as much as they can sell, and  
4 their costs are going to be lower than small refiner costs.

5 Moreover the volumes that we're talking about here  
6 could be subject to swing at an individual major oil company  
7 during the course of a single week.

8 The only impact this rule will have on major oil  
9 companies now is that the remaining small refiners may well  
10 survive in the stated belief of at least one major oil  
11 company executive quoted in the Wall Street Journal may not  
12 come true (sic).

13 WIRA and its members are determined not to let the  
14 fuels regulations do what the antitrust laws have so far  
15 prevented, and leave the marketplace to the mercy of a major  
16 oil oligopoly.

17 Fairness also requires consideration of the  
18 consumer. You have in your package a letter from the  
19 California Trucking Association eloquently articulating  
20 their support for the small refiners' position. Later this  
21 morning, you will hear from the California Independent Oil  
22 Marketers Association, and a number of independent marketers  
23 about their support for us. I ask for yours as well

24 I'd now like to turn to the third element, and  
25 that is a brief description of why this rule modification is



1 so critical to the continued existence of the remaining  
2 small refiners, and what has changed since 1988 that  
3 justifies, indeed requires your Board to revisit this issue.

4 It must be stressed that the number of gallons a  
5 particular refiner's allowed to produce is key to the  
6 overall production costs. The more a refinery produces, the  
7 less per gallon it costs, because all related expenses can  
8 be spread over a much larger base.

9 Many of these new costs, reformulated gasoline,  
10 process safety management, the myriad other environmental  
11 regulations are the same no matter how large the refinery  
12 and, therefore, cost small refiners more per barrel than  
13 large refiners.

14 CARB and its staff recognized that small refiners  
15 could not possibly meet a 10 percent aromatic hydrocarbon  
16 limit and remain in business, resulting in the regulations  
17 20 percent volume limit.

18 While the idea of tying it to production may have  
19 seemed appropriate at the time, this has turned out to be  
20 quite a catastrophe for a number of reasons and not for  
21 reasons that could have been anticipated by CARB at the  
22 time.

23 Comments and documents submitted to the Board and  
24 staff by Kern, Paramount, Powerline amply demonstrate that  
25 the timeframe used to determine their exempt volumes was one

1 of the worst periods in their production history. During  
2 all but one of the ten years before 1993, Paramount operated  
3 in bankruptcy and was without adequate capital to fund  
4 operations.

5           Powerine did not even operate between 1983 and  
6 1987, and when they did come on line, operated only one  
7 crude unit for several years until bringing in the second on  
8 line recently.

9           Moreover, for a five-month period, in 1992 and  
10 1993, Powerine was shut down and reopened only after a  
11 change in ownership. During the same timeframe, Kern also  
12 operated at less than capacity for economic reasons and sold  
13 into a military jet fuel market that no longer exists.

14           Accordingly, any limit to historical production  
15 based on these periods would be inappropriate and untenable  
16 for these three small refiners.

17           But, as the small refiners have demonstrated in  
18 their submittals to the Board and staff, it is only in the  
19 past few years that they've begun to recover from the 1980s,  
20 and it's only by increasing their utilization that they've  
21 been able to make this recovery to bring their overall  
22 production costs down to what could be considered historical  
23 levels.

24           Interestingly, the same trend has been seen among  
25 the large refiners. The chart that Mr. Simeroth put up

1 showing increasing utilization is dramatic indeed. All the  
2 refiners have steadily had to increase their crude oil  
3 utilization in order to stay in business.

4 This trend is required, as I say, because of  
5 increased costs, many of which were not anticipated, could  
6 not have been anticipated during the 1988 rulemaking.

7 Limiting crude oil throughput unfairly  
8 disadvantages small refiners vis-a-vis the large refiners,  
9 because the large refiners can continue this trend of  
10 increasing their throughput and thus have more barrels over  
11 which to spread their costs.

12 Restricting the amount of throughput as a result  
13 of limiting the amount of resulting 20 percent diesel fuel  
14 will be further exacerbated when CARB's reformulated  
15 gasoline regulations take effect.

16 Reducing the T-90 of gasoline will necessarily  
17 move substantial volumes of hydrocarbons from gasoline into  
18 diesel fuel. And if small refiners are limited to  
19 historical production, not only would they be unfairly  
20 limited to historical crude throughput; but, also, they  
21 would have no ability to deal with this impact of the  
22 reformulated gasoline regulations, an impact that was not  
23 anticipated during the 1988 rulemaking.

24 In addition, the large refiners' decision to make  
25 10 percent equivalent diesel rather than true 10 percent

1 aromatic content diesel will make it even more costly for  
2 small refiners to meet the 20 percent mandate, because many  
3 small refiners had planned to buy 10 percent diesel from the  
4 large refiners and then mix it with their own 30 -- roughly  
5 30 percent diesel.

6 An interesting testament to the need for small  
7 refiners to produce at 1993 optimum levels comes from the  
8 agricultural industry. According to the proposed  
9 amendments, increased ozone levels have caused significant  
10 loss of agricultural crops throughout California, with some  
11 of the most severe losses in the San Joaquin Valley.

12 And yet, farmers and other off-road motor vehicle  
13 diesel users staunchly support the small refiners' proposal.  
14 Their support stems from the knowledge that, if the small  
15 and independent refiners are regulated out of business, they  
16 will have only the large refiner with which to deal, and  
17 that means higher prices and less efficient distribution.

18 With my last few remaining minutes, may I turn to  
19 implementation of the revised staff proposal? There are  
20 four elements, as described by Mr. Simeroth, that will go  
21 into this calculation of the revised staff proposal for  
22 calculation of small refiner 20 percent diesel fuel.

23 Crude capacity, utilization factor, crude to  
24 distillate conversion, and the amount that then becomes  
25 diesel out of that -- I'd like to focus on that second

1 factor, utilization.

2 The staff is proposing 90 percent utilization  
3 factor. I believe that the proper number would be 100  
4 percent utilization factor. You can see the trend is quite  
5 clear. Otherwise, refineries will be tied forever into  
6 hamstringing them with a 90 percent utilization. They will  
7 never be able to operate at their full capacity, even though  
8 all the rest of the refining sector will be allowed to  
9 operate at any capacity they wish.

10 Additionally, the T-90 on gasoline reformulation  
11 will dump a lot of hydrocarbons into the diesel market. We  
12 will not be able to handle that.

13 In any event, even if your Board cannot see its  
14 way clear to going to a hundred percent, I would urge that  
15 it would be more than operate to bring it to 94 or 95  
16 percent, which is the current utilization factor.

17 Even that ties the hands of the small refiner and  
18 says that we will not be able to move beyond the current  
19 capacities and current utilization factors, and the major  
20 oil companies will, but at least it will give us a few  
21 additional barrels. And those additional barrels, I must  
22 urge are incredibly significant to the individual small  
23 refiners' continued viability and a minimal consequence to  
24 the marketplace as a whole.

25 That concludes my presentation. I guess I should

1 also mentioned that we support also the provision which  
2 would allow small refiners to simultaneously sell 10 percent  
3 and 20 percent. That's in my written comments. I'm not  
4 sure that that will be of any real practical value, because  
5 we don't know whether we'll be able to make any 10 percent  
6 equivalent. But it seems quite clear that you ought to be--  
7 that the Board ought to include that, encourage that result  
8 if it would be possible.

9 I thank you for your attention, and I'm ready to  
10 answer any questions you may have.

11 CHAIRWOMAN SCHAFER: Thank you, Mr. Moyer. Are  
12 there any questions from Board members for Mr. Moyer?

13 Ms. Edgerton?

14 MS. EDGERTON: Thank you for your excellent  
15 presentation.

16 I want to go back to the 10 percent/20 percent,  
17 just to be sure I understand it. Are you saying -- my  
18 understanding is that -- I still may not have this. My  
19 understanding is that if the small refiners want to produce  
20 the 10 percent, they can do that with no restrictions on the  
21 volumes.

22 MR. MOYER: That is correct. That is not correct  
23 under the current proposal. It is correct; that is what  
24 staff is proposing today, that they be able to sell both 10  
25 percent and 20 percent simultaneously.

1           The way it's crafted today, anything that is sold  
2 counts towards that 20 percent volume limitation, which  
3 discourages the small refiner from finding a way to make  
4 some 10 percent equivalent.

5           Ms. Edgerton, in all honesty, I must tell you that  
6 I don't know whether that's going to work, whether it will  
7 be feasible technically or practically because, clearly, it  
8 will require additional tankage and I don't know whether  
9 that's going to work.

10           But I would not like to be hamstrung from having  
11 that flexibility within the individual refineries. Was that  
12 responsive?

13           MS. EDGERTON: Yes. Mr. Moyer, you took a  
14 different position from the staff with respect to the air  
15 quality effects of this.

16           MR. MOYER: I don't think so. And I did try to  
17 work my -- I have worked these facts through with the staff.  
18 I think the difference --

19           MS. EDGERTON: (Interjecting) Well, now you have  
20 to work them through with me, I guess.

21           MR. MOYER: Well, I think that's appropriate.

22           MS. EDGERTON: Thank you.

23           MR. MOYER: Here's the way that we've looked at  
24 it. What they were talking about in the air quality  
25 disbenefit is for CEQA purposes. You need to look at where

1 we are today, what would happen if there were no change in  
2 the rule, and where we are, where we will be if this  
3 modification is made.

4           What I am saying is that there's another way to  
5 look at it. And I believe staff will support -- will  
6 confirm this. And that is, looking at it from a policy  
7 point of view, the air quality benefits that were  
8 anticipated by this rule in 1988 versus the air quality of  
9 this rule, if you make this revised staff proposal, they're  
10 going to be even better, because there are less small  
11 refiners producing, and that pool of small refiners diesel  
12 will be less than what was anticipated in 1988.

13           MS. EDGERTON: So, if I understand you right,  
14 you're saying the net -- or the overall percentage of the  
15 market is smaller -- the 15 percent instead of the 24  
16 percent.

17           MR. MOYER: Correct.

18           MS. EDGERTON: So, the air emissions would be  
19 gross -- in gross terms less, the polluting air emissions.

20           MR. MOYER: That's correct.

21           MS. EDGERTON: That's what you're saying.

22           MR. MOYER: Less than what was anticipated in the  
23 1988 rulemaking, the air pollution will be less than what  
24 was anticipated in the air quality area.

25           MS. EDGERTON: Because the market's smaller.



1 MR. MOYER: Because the small refiner market is  
2 smaller. The small refiner share of the market was smaller  
3 than what was anticipated by the Board in 1988.

4 MS. EDGERTON: So, based on that, anytime you have  
5 a market share that's declining, you have an air pollution  
6 benefit.

7 MR. MOYER: That's one way to look at it.

8 MS. EDGERTON: That's your argument, isn't it?

9 MR. MOYER: Well, one could argue that --

10 MS. EDGERTON: (Interjecting) So, maybe we should  
11 try -- are you saying we should --

12 MR. MOYER: (Interjecting) There were times when  
13 I've appeared in front of the Board -- certain boards and  
14 heard arguments from people saying, if you really want to  
15 get all the air quality benefit that you can you should just  
16 regulate us out of existence. But there is something to be  
17 balanced.

18 And my point is I do not believe that your Board,  
19 in 1988, had anything else in mind except weighing the very  
20 substantial air quality benefits of this rule with the  
21 economic viability of a significant sector of the market,  
22 and made a policy call back then. And the policy call  
23 resulted in a particular number of tons per day of air  
24 quality improvement.

25 And that benefit will not be affected.

1 MS. EDGERTON: Well, you raise a very important  
2 point, in my view, which is the stability, the importance of  
3 stability in regulations. And this is -- this is very much  
4 involved in our decision today.

5 Thank you.

6 CHAIRWOMAN SCHAFFER: Mr. Lagarias.

7 MR. LAGARIAS: Thank you, Madam Chair.

8 Mr. Moyer, how do you reconcile your statement  
9 that whatever utilization rate is adopted will be frozen for  
10 all time, when, in the discussions today, the staff has  
11 proposed changing the utilization rate from 65 to 85 to 90  
12 percent, and you're even suggesting it ought to go to 94  
13 percent or a hundred percent. How do you reconcile those  
14 two statements?

15 MR. MOYER: I'm not --

16 MR. LAGARIAS: You made the point that whatever  
17 utilization rate the independent oil producers have -- and I  
18 strongly support the viability of the independent oil  
19 producers' existence -- whatever utilization rate is adopted  
20 would be frozen in all time, when we've heard extensive  
21 discussions about changing the utilization rate?

22 MR. MOYER: I see. Because in 1988, we were at 65  
23 percent. That was actually a production rate; that was a  
24 conversion rate (sic). We never -- prior to today's staff  
25 presentation, there's never been a discussion of utilization

1 of capacity. Everything prior to this has always been tied  
2 to production.

3 And what we're talking about now is tieing it to  
4 capacity, and this rule would freeze for all time this -- in  
5 the rule a particular utilization number, a capacity number.

6 MR. LAGARIAS: Nameplate rating?

7 MR. MOYER: Both the nameplate, the factor which  
8 would be used for utilization, and the conversion to  
9 distillate -- from crude to distillate.

10 MR. LAGARIAS: I've been involved in the design of  
11 plants, and when you get a nameplate rating, if the operator  
12 of that plant isn't able to operate his plant substantially  
13 above the nameplate rating, he's not satisfied with the  
14 plant he's getting.

15 In fact, your figures on utilization rate point  
16 out that plants are operating at 102 percent of nameplate  
17 rating.

18 MR. MOYER: Yes. That's a very good point, and  
19 that's why I think it's important that you understand what  
20 this first element was is a crude capacity, that's per  
21 calendar day, taking that into account.

22 I think that's a very good point, Mr. Lagarias,  
23 and it's one that, you know, we're not going to be able to  
24 get to 102 percent if you freeze us at 90. But we'll be  
25 able to make it if you take us to 95 or 100 percent.

1 MR. LAGARIAS: Thank you.

2 CHAIRWOMAN SCHAFER: Are there any questions from  
3 Board -- oh, yes, Supervisor Bilbray.

4 SUPERVISOR BILBRAY: I was just reminded by my  
5 colleague about the fact that there is air pollution  
6 benefits to operations being shut down. And the Monterey  
7 Air Basin was one of them when Ft. Ord shut down. We were  
8 talking about the fact that that needed to be calculated in  
9 off emissions that would be lost.

10 And I think that more than the emission issue here  
11 is that our mandate that we watch what the impacts are that  
12 we make on the market, and the 14 to 4 number scares the  
13 hell out of me, not for the independents' point of view, but  
14 I think for both the consumer and the long-term energy and  
15 air pollution strategy.

16 Because I think there is this small percentage of  
17 independents that keep the system honest or at least as  
18 close to honest. I wouldn't want to ever perceive that the  
19 oil business is honest.

20 (Laughter.)

21 SUPERVISOR BILBRAY: But I would ask you, when we  
22 talk about the cost of production, staff, you gave the  
23 numbers between 10 for the large refiners and the 20 percent  
24 for the small? Is that the 6 and 7 number?

25 MR. SIMEROTH: It'd be 6 cents per gallon for the

1 large refineries, as they're operating today.

2 SUPERVISOR BILBRAY: To produce?

3 MR. SIMEROTH: To produce the 10 percent or an  
4 equivalent to the 10 percent. And 7.5 cents is our estimate  
5 what it would cost the small refiners to produce the 20  
6 percent or an equivalent.

7 So, they're still even at a major disadvantage at  
8 the 20 number.

9 MR. SIMEROTH: Their number's higher, certainly.

10 SUPERVISOR BILBRAY: Well --

11 MR. MOYER: If I may comment, Mr. Supervisor?

12 SUPERVISOR BILBRAY: Yeah, I mean that's what I'm  
13 really getting down to is the fact that, you know, we want  
14 to make sure that we maintain some level playing field here.  
15 And right now, under this plan, I think staff even  
16 recognizes that it's not necessarily an even playing field  
17 for competition. But you're trying to make it more  
18 feasible.

19 MR. MOYER: That's correct. That's exactly the  
20 point that I was trying to make. You may hear today, later  
21 today, from some people testifying about this increased  
22 market share for small refiners. And it's just not true.  
23 There is just no guarantee of any particular market share.  
24 Our costs are higher, not lower than theirs.

25 There's no price advantage as a result of this

1 rule. And I'd like to, just as a general comment, leave you  
2 with -- throughout my comments, I have verified and tried to  
3 confirm all the facts that I've set out with staff, so that  
4 all of these numbers are the same; so that your call is a  
5 policy call. And I've done -- I don't necessarily agree  
6 with the 7.5 cent per gallon number, but I think that number  
7 is actually higher.

8 But the point is the same. It doesn't matter  
9 whether it's 8.5 or 7.5, the staff's -- the conclusion is  
10 the same. There's no price advantage. The same thing on  
11 the barrels per day. We actually think that the Board  
12 anticipated a greater number.

13 That's not really -- we worked very hard with  
14 staff to ensure that we were all working from the same  
15 factual base, and then your decision is a policy call, and  
16 we hope that it will be the correct one.

17 SUPERVISOR BILBRAY: Okay. I just think that the  
18 numbers speak for themselves, even at that level, and I  
19 think that the fact that, if this market is not being  
20 served, as being served now by four where it was at 14,  
21 we've got people dropping like flies out there that we have  
22 a mandate to, at least, be responsive to the market impacts  
23 of our regulations. And that's what makes this agency so  
24 much more effective as an environmental agency than some  
25 others.

1           So, we just want to make sure that these rules  
2 reflect that reality. Thank you, Madam Chair.

3           CHAIRWOMAN SCHAFFER: Thank you very much,  
4 Supervisor Bilbray. Ms. Edgerton?

5           MS. EDGERTON: Well, that's actually correct,  
6 because actually, one of the things that I wanted to follow  
7 up on was what Mr. Lagarias sort of brought up. But I agree  
8 with Supervisor Bilbray that we need to be very sensitive to  
9 market competition and to the fairness of our regulations.

10           Mr. Lagarias touched on a point that is important,  
11 and I think that is related to a couple of comments you just  
12 made, which is that, today, the small refiners are not  
13 competitive -- well, they're not increasing their market  
14 share; they're having difficulty; they're not going to  
15 encroach on the large refiners. Perhaps that's not you --  
16 that's not exactly how you said it, but --

17           MR. MOYER: I hope I didn't say it exactly like  
18 that.

19           MS. EDGERTON: No, you didn't say it like that.  
20 Let's see. What exactly did you say.

21           Something to the effect that they aren't --

22           MR. MOYER: My point was simply that there was no  
23 guarantee of the small refiners having any particular market  
24 share.

25           MS. EDGERTON: Okay. That's -- thank you for

1 correcting me. I don't want to put words in your mouth.

2 So, there's no guarantee today.

3 But the difficulty is that, in 1988, we had a  
4 particular market setting where the staff made a decision.  
5 Now, at this point in time, we drop in and we have a  
6 particular market situation we're looking at. Are we going  
7 to drop in again in 1996? I don't think we should be  
8 inflexible. By the same token, I have a concern as to some  
9 of the points that Mr. Lagarias raised. Well, is it 85  
10 percent? Is it 90? Is it 95 percent? Is it a hundred  
11 percent? You know, is this a rolling issue to -- where --  
12 where is a steady course?

13 MR. MOYER: Perhaps I didn't articulate myself as  
14 well in response to Mr. Lagarias as I should have.

15 This is the first time where any rule indicating,  
16 determining, evaluating the 20 percent fuel will be tied to  
17 the utilization capacity. In the past, everything has been  
18 tied to historical production.

19 If you let us go to capacity, that's a big  
20 difference. And we're very happy with that.

21 SUPERVISOR BILBRAY: Good point.

22 CHAIRWOMAN SCHAFFER: Thank you very much, Mr.  
23 Moyer, for your presentation this morning.

24 I'd now like to recognize Mr. Charles Walz of  
25 Texaco.



1 MR. JENNINGS: Chairwoman Schafer, while Mr. Walz  
2 is coming to the podium, I'd like to clarify one additional  
3 modification that the staff is proposing that I don't  
4 believe was mentioned in the first presentation.

5 It is included as Item 3 in the handout today.  
6 And the proposed modifications to exempt volume the staff is  
7 proposing today would be presented as an option to the  
8 existing calculation of exempt volume.

9 And we are proposing that for independent refiners  
10 who, under some circumstances, can be subject to the small  
11 refiner provisions for October, 1994 through September,  
12 1996, that those small refiners could only use the existing  
13 exempt volume provisions and not the proposed new option.

14 MR. WALZ: Good morning, Board members and  
15 Chairwoman Schafer.

16 My name is Chuck Walz. I'm the Vice President of  
17 Refining for Texaco Refining & Marketing.

18 For a general background the Board members, since  
19 we do have a few since our episode last fall (sic), I  
20 thought it might be well to indicate that Texaco does have  
21 two refineries in the State -- one in Bakersfield,  
22 California as well as one in Wilmington, down in Los  
23 Angeles.

24 We currently produce CARB diesel at both  
25 facilities. We utilize the 10 percent specification as well

1 as utilizing certification formulations that we developed  
2 over the years since the rule was passed. As a matter of  
3 fact, we have three such certifications.

4 We also spent in excess of \$25 million in coming  
5 into compliance with the regulation that went into effect  
6 last fall. We have several -- many serious concerns with  
7 the proposals made here today.

8 And I'd like to go into what those concerns are,  
9 if I may. First off, we feel that the revisions appear to  
10 be in conflict with California law. By delaying enforcement  
11 of the low aromatics diesel regulation or by allowing  
12 increased production of 20 percent aromatics diesel, the  
13 proposed changes in the low aromatics regulation constitute  
14 the relaxation of an environmental standard.

15 Such discretionary action by the agency is  
16 contrary to California clean air statutes and is subject to  
17 CEQA review. And one food for thought in reference to the  
18 previous testimony that's been given this morning, some  
19 small refiners have indeed shut down. But what is the state  
20 of their -- or status as we move into the future?

21 It's entirely possible that they could be  
22 restarted depending on what happens in the industry.

23 Secondly, the California Clean Air Act requires  
24 emissions to be reduced by the maximum degree possible as  
25 stated in the Health & Safety Code. The proposed revisions

1 are in conflict with that requirement, because emissions  
2 from diesel produced by small refiners will not be reduced.

3 With regard to policy and technical arguments,  
4 staff asserted in their report that the proposed revisions  
5 will not have an adverse economic impact on businesses. And  
6 we strongly argue that point.

7 Many refiners have been adversely impacted by the  
8 special dispensation for small refiners and will continue to  
9 be impacted so long as CARB imposes inequality in the  
10 market.

11 Since enforcement of the low aromatic regulation  
12 commenced in 1993, the presence of noncomplying variance or  
13 exempt diesel in the market has disadvantaged those  
14 companies that have complied with the 10 percent aromatics  
15 rule through capital investments and very expensive  
16 certification programs.

17 Texaco and probably other companies have been  
18 unable to fully recover the substantial investments made to  
19 participate in the California diesel market, primarily due  
20 to CARB's interference in the market through inequitable  
21 treatment of diesel suppliers.

22 CARB now proposes to provide additional relief to  
23 small refiners in the form of further delays in enforcement  
24 as well as increased production of higher aromatics diesel  
25 fuel.

1           These proposed revisions will perpetuate the  
2 unfair advantage that small refiners have enjoyed in the  
3 California diesel market for the past year or since October  
4 of last year, as a result of the original one-year delay in  
5 enforcement provided in the existing regulation.

6           During this first year -- that is, from last  
7 October to the upcoming October -- of the low aromatics  
8 diesel rule, small refiners have accrued significant  
9 economic benefit by supplying noncomplying diesel into the  
10 CARB low aromatics diesel market without any financial risk  
11 from expenditures for capital investment or certification  
12 efforts.

13           And just to give you a sense of the value of that  
14 economic benefit, if you use a 6 cent per gallon  
15 differential between CARB diesel and EPA diesel, multiply  
16 that out on a thousand barrels today, it comes pretty close  
17 to a million dollars on a one-year basis. So, for every  
18 thousand barrels of -- of diesel that the small refiners  
19 have been able to put into the marketplace from October 1,  
20 '93 to October 1, '94, they have reaped a \$1 million  
21 advantage or will have reaped a \$1 million advantage for  
22 doing nothing.

23           Yet even in the afterglow of this unprecedented  
24 windfall, each refiner has demonstrated little, if any, real  
25 progress toward the mandated goal of compliance by October

1 1, '94. By granting special treatment for small refiners  
2 yet again, CARB will reward small refiners for their  
3 inaction and will penalize others who have assumed great  
4 economic risk to comply with the low aromatics diesel  
5 regulation.

6 This inequity is not justified by any reasonable  
7 measure from our viewpoint. CARB justifies the proposed  
8 revisions primarily on fears of shortage and market  
9 disruption during the peak demand season in the autumn.

10 There is no basis for this justification for  
11 several compelling reasons. The autumn, 1993 diesel  
12 experience, as we call it, which apparently forms the basis  
13 for the staff's fears, included events which were unlikely  
14 to be repeated in 1994. Realignment of supply due to  
15 withdrawal from the California market by some refiners --  
16 that includes majors as well as small refiners. The  
17 realignment of the distribution system at the terminal  
18 level, the rebalancing that took place.

19 The substantial increase in the federal tax that  
20 took effect on October 1st, 1993, was another argument or  
21 situation that occurred at the time the rule went into  
22 effect.

23 Uncertainty of supply that existed due to  
24 variances that were being granted at the time, and  
25 apprehensive consumer response to a broad new regulation.

1           The problems of 1993 should not reoccur in 1994,  
2 because refiners have had one year to fine tune CARB diesel  
3 production capacity and the distribution system. We have  
4 demonstrated an industry capacity that exceeds peak diesel  
5 demand by a substantial margin. And I'll show you some  
6 charts on that a little bit later on to -- to give you a  
7 better feeling of comfort on that point.

8           The industry diesel inventory this summer is much  
9 higher than in 1993, and can be increased further to  
10 accommodate peak demand. I'll also show you a chart on that  
11 shortly.

12           No supply problems have occurred since last  
13 autumn, despite demand increased during the peak planning  
14 season this spring when significant operating problems  
15 occurred. The industry, the system, the rebalancing was  
16 able to deal with it.

17           And, finally, consumers have accepted the  
18 regulations and are confident in the industry's ability to  
19 comply.

20           The Board's task, we feel, is to promulgate policy  
21 to reduce air emissions. The proposed revisions before you  
22 today will immerse the Board into a role of overseeing  
23 supply for the diesel market.

24           That responsibility, we feel, is not in the  
25 Board's purview and more appropriately the task of the

1 California Energy Commission.

2 The CARB staff report does not propose any changes  
3 to the requirements for small refiners to meet the 20  
4 percent aromatic standard. This seems to present a major  
5 dilemma for most small refiners, since the proposed  
6 revisions do not actually provide real relief to them, only  
7 relaxation from the exempt volume limit and enforcement  
8 date, both of which may be of dubious value. And I'll  
9 explain further my thoughts there.

10 In statements made at the CARB public workshop  
11 held on April 21st, 1994, three of the small refiners  
12 revealed that they did not have the capability to produce  
13 diesel meeting the 20 percent aromatic standard. The  
14 representative of the Western Independent Refiners  
15 Association amplified the small refiners' situation further  
16 by stating that, and I quote, "Small refiners have no  
17 ability to dearomatize diesel now or in the future due to  
18 high costs."

19 And the Board recognized this and assumed that the  
20 small refiners would comply through blending or  
21 certification.

22 I do not believe that the Board has assumed  
23 anything other than the ultimate compliance with the  
24 regulation as adopted in 1988.

25 Those comments at the public workshop revealed the

1 true nature of this latest request for additional relief.  
2 The small refiners seek further delay until a solution on  
3 their terms can be developed. Although reliance on  
4 purchased low aromatics diesel for blending and/or  
5 certification seems to be the course of compliance chosen by  
6 the small refiners, they have offered no substantive proof  
7 that they will be in compliance within three months, six  
8 months, one year, or possibly ever.

9 This disingenuous performance must not be  
10 overlooked when considering these proposed revisions.  
11 Sooner or later, the Board must enforce its regulation  
12 without further delay.

13 Texaco believes very strongly that the time is  
14 now. We would also urge you during your deliberations today  
15 to determine if, indeed, the small refiners will be in a  
16 position come this October 1st to meet the 20 percent  
17 standard.

18 We feel this may be only the first step in a  
19 course that will take us to a variance proceeding. Because  
20 of the 20 percent aromatics limitation, some small refiners  
21 may seek variances to continue supplying diesel in  
22 California. CARB's proposal does not address this  
23 consequence at all, and blithely assumes that each small  
24 refiner will be able to produce 20 percent aromatics diesel  
25 at the proposed optional volume limit.



1           This phantom diesel production, after October 1st,  
2 1994, is assumed to be necessary to assure adequate diesel  
3 supply this autumn and, in fact, forms the cornerstone for  
4 justification of the proposed revisions.

5           The Board should carefully consider the facts  
6 underlying staff's current proposals, and weigh heavily the  
7 reality that these revisions accomplish little for small  
8 refiners without further relief through variances.

9           And just in case you haven't been able to get it  
10 from what I've said already, Texaco would certainly oppose  
11 any variances from the enforcement of the 20 percent  
12 aromatics standard by October 1, '94, for the small  
13 refiners.

14           Any variance application filed by small refiners  
15 must conform to current regulatory requirements. The  
16 regulation specifically states that a variance cannot be  
17 granted unless CARB finds that all the minimum prerequisites  
18 for any variance from the regulation are met. It is  
19 difficult for us to imagine that any of the small refiners  
20 could meet all of these minimum requirements.

21           Each has had nearly six years to implement a  
22 compliance plan, yet none has yet achieved compliance. Some  
23 of these small refiners find themselves in their current  
24 predicament of noncompliance solely because of economic  
25 business decisions made to defer significant costs for

1 investment in refinery equipment or for certification of  
2 equivalent emission alternative diesel formulations.

3 Surely, their current situation, based on  
4 intentional decisions, is not beyond their reasonable  
5 control. After careful review, we believe that the Board or  
6 any hearing officer would find no reasonable basis upon  
7 which to justify a variance from compliance with the low  
8 aromatics diesel regulation for any of the small refiners  
9 affected.

10 The net result of the proposed revisions that  
11 you're considering today will not be the salvation of a  
12 diesel market purportedly short of fuel, but rather will be  
13 the perpetuation in the market of an inherently inferior  
14 fuel in terms of diesel exhaust emissions.

15 If approved by the Board, these proposed revisions  
16 will assure an increase in NOx and PM10 for the diesel  
17 supplied by each small refiner over the level that would  
18 otherwise have occurred if the regulation were not revised  
19 to accommodate the small refiners.

20 Before I make a transition to some data I would  
21 like to show on the slides -- and it's basically a review of  
22 detail which I believe you've been given -- I would like to  
23 comment on the previous testimony with regard to the cost of  
24 production for the majors and for the small refiners.

25 The 6 cent number that you've been provided is a

1 staff number. We're not familiar with the details behind  
2 that, but from our company's position, we would argue that  
3 our number is substantially higher than that, and have  
4 provided staff with that position in many meetings over the  
5 course of the last year or more.

6 In addition, the 7.5 cent number that has been  
7 given as a representation for cost of production for the  
8 small refiner, it's not clear to us what that is based upon.  
9 If it's based on investment and modifying the facilities  
10 that they have, it's quite likely that the cost would be  
11 much lower if they chose a route of using a certification.  
12 The cost of manufacture becomes substantially less.

13 So, I would, I guess, raise serious concerns over  
14 the validity of those numbers for your consideration today  
15 without having further background on exactly what they  
16 represent.

17 I would now like to share with you some specific  
18 information which illustrates the point that these proposed  
19 revisions are neither justified nor necessary to protect the  
20 California diesel market.

21 I believe you've been given a packet of  
22 information. Do Board members have that information? It  
23 has a cover page on it.

24 Chairwoman Schafer has a copy.

25 CHAIRWOMAN SCHAFFER: I'm sure everyone has a copy.

1 MR. WALZ: I'm not sure that the facilities here  
2 will allow me to -- to get the full chart on the screen at  
3 any one time, but we'll give it a go.

4 The first slide shows the average demand of  
5 155,000 barrels a day for CARB diesel in the State of  
6 California. And that is a number that was taken from the  
7 CARB staff report dated June 10th, 1994.

8 Below that, we show production capability in the  
9 State for CARB diesel. These are our assessments, but are  
10 our assessments based on testimony given at the October  
11 15th, 1993 hearing when diesel was in very short supply,  
12 when it was essential for everyone to be making maximum  
13 barrels.

14 We've shown a major and independent production  
15 level of 215,000 barrels a day for Cases A and B. Case A  
16 represents the condition as it would be if the rule were  
17 left unchanged as it would be -- as it would allow the small  
18 refiners to produce 11,100 barrels per day.

19 The proposed rule that had been on the books had  
20 allowed them to go to 16,700; with the modification that was  
21 made this week, that number's been changed to 23,700. So,  
22 the industry, from our viewpoint, would indicate that they  
23 had the capability to produce almost 239,000 barrels a day  
24 of fuel, if need be, against a demand of 155,000 barrels.

25 For that reason, we conclude that the production

1 capacity of major and independent refiners is 40 percent  
2 greater than demand and is more than adequate to supply the  
3 California market.

4 If we could go to the next chart, please. The  
5 next chart shows that, under current balances -- and these  
6 were for the second quarter of this year -- the major and  
7 independents were producing at about 142,000; the small  
8 refiners were producing at about 21, which said we were  
9 producing a total of 163. And that number was allowing  
10 inventory in the system to build as I'll show you on a chart  
11 here shortly.

12 But it clearly shows that there was idle capacity  
13 of 73,000 barrels a day sitting unused. The State clearly  
14 has adequate capability to produce a very high amount of  
15 diesel.

16 You can also see the other cases there, where we  
17 could go up to 239,000 barrels a day. That just simply  
18 increases the capacity if you allow the independents -- or  
19 excuse me -- the small refiners to increase their level to  
20 24,000 barrels a day.

21 From this chart, we conclude that the average  
22 market demand is oversupplied at current production level.  
23 Demonstrated CARB diesel capacity for majors and  
24 independents far exceeds the small refiner capacity.

25 And, finally, that the proposed revisions are

1 unnecessary to assure adequate market supply.

2           The next chart shows data taken from CEC reports  
3 on diesel. This is information that's gathered weekly by  
4 the Commission, and it really shows very clearly what  
5 happened last fall when we were in transition back in the  
6 September timeframe -- inventory was down at 1.4 million  
7 barrels a day. It was what we considered to be a minimum  
8 inventory, obviously by the situation that occurred.

9           But you can see, since that time, inventory has  
10 clearly risen up to around 2, 2.5 million barrels sitting  
11 there in inventory in various tanks throughout the State of  
12 California.

13           So, we conclude that the average inventory in --  
14 since the first of the year in the system has been around  
15 2.5 million barrels.

16           If we go to the next chart and we hypothesize on  
17 what might happen this fall and where those barrels might  
18 come from, which is really a line of questioning that was  
19 going on earlier this morning, as demand increases, the  
20 industry has two alternatives to supply that demand. Either  
21 (a), increase their production, or (b) take it from  
22 inventory.

23           And for our hypothetical situation here, we've  
24 assumed that 50 percent of that increase demand would come  
25 from inventory and 50 percent of it would come from

1 increased production.

2 We've estimated a peak excursion demand of 180,000  
3 barrels a day. That's a guess on our part. You pick your  
4 number, but it's probably something less than 200,000. But  
5 that's a 25,000 barrel a day increase over what we feel the  
6 current level is of 155,000 barrels a day.

7 If that peak demand rate went on for a period of  
8 three weeks, which we feel is typical of what goes on during  
9 the fall timeframe, and 50 percent of that peak demand were  
10 pulled from inventory, that would deplete inventory by  
11 262,000 barrels, which is about 10 percent off the average  
12 inventory in comparison with September, '93 drawdowns when  
13 it would have been 37 percent of available inventory.

14 So, in summary, current inventory is about 1  
15 million barrels higher today than during the October, '93  
16 crisis. Industry is in a much better position to handle  
17 peak demand through inventory drawdown this year than in  
18 1993.

19 And, finally, normal inventory can easily handle  
20 peak demand. So, we really feel that having sprint  
21 capacity, having barrels sitting on the sideline is not  
22 really an issue.

23 In summary, Texaco opposes the proposed revisions  
24 to the low aromatics diesel regulation because the staff  
25 recommendation lacks substantial evidence to support a

1 change in the rule.

2 Secondly, there is no reasonable justification to  
3 support such revisions in view of the data I've presented.

4 Thirdly, the revisions would unfairly discriminate  
5 against those refiners which have made investments to comply  
6 with the regulation.

7 And, fourthly, as I started out the discussion  
8 here this morning, such revisions appear to be in conflict  
9 with the California law as it relates to CEQA review.

10 I will terminate by -- my presentation this  
11 morning by simply asking one final question, and that is,  
12 when does a rule become a rule? It's been six years since  
13 the rule went into effect. Everyone's had ample time to  
14 prepare for it. We continue to go through agonizing  
15 discussions, such as this, and we need some certainty. We  
16 need some surety. And with every step we take with regard  
17 to diesel, it creates a little less confidence in what's  
18 going to happen on the gasoline side come 1996.

19 That concludes my remarks this morning, and I'll  
20 be pleased to answer any questions that you might care to  
21 ask.

22 CHAIRWOMAN SCHAFFER: Thank you very much, Mr.  
23 Walz.

24 (Thereupon, there was a pause in the  
25 proceedings to allow the reporter to



1 replenish her stenograph paper.)

2 CHAIRWOMAN SCHAFFER: Mr. Walz, does Texaco also  
3 oppose the shift of the effective date from October 1 to  
4 January 1, 1995?

5 MR. WALZ: Yes, we do, because of the situation  
6 that I represented up there a moment ago. We feel that  
7 between the productive capability that's out there and the  
8 inventory, that there is no valid reason for shifting.

9 CHAIRWOMAN SCHAFFER: Thank you. Are there any  
10 questions from Board members for Mr. Walz?

11 Mr. Calhoun.

12 MR. CALHOUN: Yes. Mr. Walz --

13 MR. WALZ: Yes, sir.

14 MR. CALHOUN: -- you heard earlier that the number  
15 of small refiners has gone down from 14 to 4. And what has  
16 happened to Texaco's market share during this time period?

17 MR. WALZ: With regard to what product?

18 MR. LAGARIAS: Diesel.

19 MR. CALHOUN: The diesel fuel we're talking about  
20 here today.

21 MR. WALZ: I would -- I really don't have a number  
22 that I've memorized. I'll give me my gut reaction to that  
23 question. But I would say it's probably about the same as  
24 it was back in 1988.

25 MR. CALHOUN: Okay. My next question pertains to

1 the statement that you made regarding the ability of the  
2 small refiners to produce the 20 percent aromatic fuel. And  
3 you stated that this is really the -- or you suggested that  
4 it may be the first step; that the next step may be a  
5 request for variances.

6 MR. WALZ: That's correct.

7 MR. CALHOUN: What is the factual basis for that  
8 statement?

9 MR. WALZ: The factual basis for?

10 MR. CALHOUN: For the statement that you suggested  
11 that their next step would be a request for variances.

12 MR. WALZ: It's basis, the quotes I made in my  
13 presentation based on information gained in this very room  
14 at a public hearing back in April, where they indicated that  
15 things were very doubtful in their being able to comply with  
16 the 20 percent rule.

17 And I'm simply, I guess, urging the Board to seek  
18 out in testimony this morning some indication as to whether  
19 or not that indeed will happen, or all of what we're talking  
20 about here this morning is for naught.

21 MR. CALHOUN: Thank you. No further questions.

22 MR. LAGARIAS: Madam Chair?

23 CHAIRWOMAN SCHAFER: Thank you very much, Mr.  
24 Calhoun. Mr. Lagarias?

25 MR. LAGARIAS: The independent oil producers

1 mentioned the fact that they may achieve 20 percent aromatic  
2 content by blending with 10 percent aromatic, which  
3 apparently they purchase from other sources.

4 Do you supply 10 percent aromatic to the  
5 independent oil producers?

6 MR. WALZ: We do currently do so, no, sir.

7 MR. LAGARIAS: In your chart on the impact of  
8 proposed revisions to the CARB supply, one of your  
9 conclusions was that the demonstrated idle capacity for CARB  
10 fuel by the major sources and independents far exceeds that  
11 of the small refiner capability.

12 That's one of your conclusions.

13 MR. WALZ: Yes, sir.

14 MR. LAGARIAS: You mean that if, for some reason,  
15 if the independent oil refiners disappeared, went out of the  
16 market, you'd have no problem supplying the CARB fuel, and  
17 you'd like to see them go away?

18 MR. WALZ: No, sir. That was not the intent --

19 (Laughter.)

20 MR. WALZ: -- in putting that -- that was not the  
21 intent in putting that in the presentation this morning. It  
22 was simply to allay fears or concerns that the Board could  
23 possibly have on what might happen.

24 We're not advocating that. We're not suggesting  
25 it. We're not campaigning for it. We're simply trying to

1 suggest that the rule --

2 MR. LAGARIAS: It wouldn't be a problem if they  
3 went away.

4 MR. WALZ: If there were a problem with supply;  
5 that's correct.

6 MR. LAGARIAS: With supply. Thank you.

7 CHAIRWOMAN SCHAFER: Mr. Parnell?

8 MR. PARNELL: I may have misheard or not heard you  
9 correctly. It seemed to me early in your testimony you said  
10 that Texaco and other large refineries have made significant  
11 investments in order to comply with the regulation. And we  
12 understand that.

13 But you also said you haven't been able to  
14 recapture that, because of the concessions that have been  
15 made to small refineries. There seems to be contained in  
16 that the notion that if the small refineries were not given  
17 this concession, and they couldn't compete, they would  
18 disappear. That would allow you the opportunity to  
19 significantly raise price and to recapture those costs.

20 Is that the notion that you wanted to convey?

21 MR. WALZ: No, sir. I'm simply saying that, with  
22 the capacity that has been demonstrated out there, there is  
23 more than adequate supply, way more than adequate supply  
24 needed to take care of the market.

25 MR. PARNELL: I understand the supply issue, but I

1 guess I was a little confused or taken by your comment  
2 relative to your ability to recapture your capitalization  
3 costs.

4 MR. WALZ: I was simply making the point that,  
5 basically, they have been able to benefit with the  
6 substantial increase that the CARB diesel has had over EPA  
7 diesel since the rule came into effect; that -- that we have  
8 invested substantial money. They have not had to invest  
9 money.

10 And for every -- as I gave you the number earlier,  
11 for every thousand barrels a day, they will have collected a  
12 million dollars by the end of the year.

13 MR. PARNELL: Thank you.

14 CHAIRWOMAN SCHAFER: Ms. Edgerton?

15 MS. EDGERTON: Thank you for your presentation.  
16 It was very helpful.

17 One of the questions raised by this proposed  
18 amendment was addressed by our Executive Officer, Mr. Boyd,  
19 in that the experience has been that the supply needs have  
20 not typically been satisfied with these -- for diesel in our  
21 State, and that --

22 MR. WALZ: Who haven't?

23 MS. EDGERTON: Well, if I understood what he was  
24 saying, what I was trying to understand was this unique role  
25 of the small refiners were. And I think he said that they

1 fill a need in particular geographical areas and particular  
2 markets in our State, which has not been fully served or  
3 does not appear to have the service of other even large  
4 refineries.

5 In any case, there's been an interruption in  
6 supply. And we're all familiar with it. You talked about  
7 the "diesel experience."

8 MR. WALZ: I'd like to comment on that.

9 MS. EDGERTON: And I'd like for you to comment.  
10 That's my question.

11 MR. WALZ: Texaco, at our Bakersfield facility, we  
12 have a very large independent, unbranded business. And,  
13 basically, if people have had their credit checked and are  
14 willing to comply with our -- our safety requirements at  
15 our truck loading rack, they can come in and generally get  
16 unbranded barrels for sale just like they can at some of the  
17 small refiners.

18 Now, I say generally. Last fall, during the  
19 crisis, when supply was very tight, we -- and we were  
20 hustling, huffing, and puffing to get our facilities in  
21 operation to the deadline, we were short on barrels  
22 initially. But subsequent to that, we've opened the rack to  
23 unbranded distributors and supply many of the same people  
24 that will appear before you today no doubt.

25 So, we do supply into that market.

1 MS. EDGERTON: Also, one of the comments -- thank  
2 you. One of the comments that you made about the staff's  
3 figures with respect to the comparison of the cost to the  
4 large refiners versus the small refiners -- the 6 cents  
5 versus 7.5 cents, I'm troubled by your comment that your  
6 figures did not substantiate -- or are not consistent with  
7 what the staff found.

8 MR. WALZ: No doubt that's an industry average, I  
9 would think. And there will be fluctuation from refiner to  
10 refiner.

11 MS. EDGERTON: Uh-huh. I just wanted to give you  
12 an opportunity to talk some more if you wanted to tell me  
13 what you thought -- what do you think is the correct  
14 comparison?

15 MR. WALZ: Well, I can't speak for what the  
16 industry is. I can only speak from Texaco's perspective.  
17 And I'd be glad to share that with you in private. But we  
18 feel it's of a confidential nature.

19 MS. EDGERTON: I appreciate that.

20 MR. WALZ: Other than to say that it is higher  
21 than the 6 cents.

22 MS. EDGERTON: Thank you.

23 CHAIRWOMAN SCHAFFER: Are there other questions  
24 from Board members for Mr. Walz at this time?

25 If not, thank you very much.

1 MR. BOYD: Madam Chair, might I make a comment or  
2 two while Mr. Walz is here?

3 CHAIRWOMAN SCHAFER: All right.

4 MR. BOYD: Although his attendance is not totally  
5 necessary. I wanted, just for the record, I think, since  
6 the staff is giving away so many emission benefits here, I  
7 wanted to point out that the staff has not wavered on the  
8 aromatic requirement of 20 percent or its effective date.

9 We feel very strongly about. And that was pivotal  
10 decision in our decision to make the rest of the  
11 recommendation we've made today. So, I just want to  
12 underscore that and any implications that may have for the  
13 future.

14 The other point I wanted to make is perhaps for  
15 the benefit of the large number of Board members who weren't  
16 here in 1988 when this rule was put into effect. My  
17 recollection is that the staff recommended that this rule go  
18 into effect January 1st of 1993; that was the 1988 proposal.

19 But at the Board meeting, the oil companies asked  
20 for a delay till October of 1993. I don't recall a  
21 discussion, certainly by the oil companies, of the adverse  
22 air quality impacts of granting such a delay. And I don't  
23 recall myself or the staff challenging on any great basis of  
24 an adverse air quality impact, the rationale for the  
25 eventual granting of that delay.



1           So, I think the issue cuts both ways, or the sword  
2 cuts both ways, or what have you. But the staff tries to  
3 walk the straight and narrow and weave this narrow path  
4 between ambient air quality and economic equity.

5           And it cuts both ways.

6           CHAIRWOMAN SCHAFFER: Thank you very much, Mr.  
7 Boyd.

8           Mr. Walz, did you have anything further?

9           MR. WALZ: I have no comment.

10          CHAIRWOMAN SCHAFFER: All right. Thank you very  
11 much for your testimony this morning.

12          I would now like to take a break for the benefit  
13 of our court reporter, and we will resume in five minutes.

14          Thank you very much.

15          (Thereupon, there was a brief recess taken.)

16          CHAIRWOMAN SCHAFFER: By my calculation, we have  
17 taken about a half an hour per witness on average. And if  
18 we do that, we're going to be here till six o'clock. I'm  
19 going to lose Board members and probably witnesses, and we  
20 may have a quorum problem.

21          So, I'm going to have to ask witnesses to please  
22 try to limit your presentation to 10 minutes. That will  
23 give us some time to ask questions. And concentrate on  
24 those aspects of your testimony that area different from  
25 what has previously been presented to the Board in terms of

1 illuminating our understanding of the effect of the proposed  
2 regulation.

3           Also, I would like to move people around from the  
4 original order in which you may have signed up. I'm not  
5 sure what exactly that order is, but just so that we can get  
6 representation in as fair a way as possible. I'd like to  
7 invite the representatives from Kern Oil to come to the  
8 podium now, starting with Mr. Eveland, and Mr. Jeffries, Mr.  
9 Blackburn, and Mr. Tomerlin, as I understand, are  
10 representing Kern and/or independent marketers.

11           I'd like you to make your presentation as a unit,  
12 as a panel, even though we aren't able to empanel you in the  
13 seating arrangements here.

14           I'd like for the Board to hear your testimony and  
15 then ask questions of each of you when you're all finished.

16           MR. EVELAND: Madam Chairwoman and members of the  
17 Board, my name is Tom Eveland. I'm Vice President of  
18 Government Affairs of Kern Oil and Refining Company. I'll  
19 try to be brief, because Kern's position was stated in  
20 comments which were faxed to you on Wednesday.

21           CHAIRWOMAN SCHAFFER: Thank you, sir.

22           MR. EVELAND: I first want to acknowledge and  
23 commend the open-door policy that your staff has maintained.  
24 I don't remember exactly how many meetings we have had with  
25 your staff, but -- on this one issue, but it's been more

1 than a few. And it's refreshing to have an agency that  
2 genuinely wants to know and consider our unique  
3 circumstances and doesn't treat us small businesses the same  
4 as a huge international corporation.

5 Just one side point. I recall a workshop a year  
6 ago, where some of the majors, possibly including Mr. Walz,  
7 forecasting that there'd be no shortage in October of '93.  
8 So, I'm not sure he and his colleagues are the best  
9 forecasters in the world on diesel shortages.

10 I believe Kern to be unique among California  
11 refiners, in that our largest product from a revenue  
12 standpoint is diesel fuel. We also produce gasoline and  
13 other products, but diesel fuel is our biggest revenue  
14 generator by a large margin.

15 And Kern is located in the heart of California's  
16 most dynamic agricultural and trucking area, and diesel fuel  
17 is what we're all about.

18 This rule impacts Kern to a larger degree than  
19 probably any other refiner. Kern's had to build a new  
20 diesel hydrotreater unit and a sulfur recovery unit from  
21 scratch to comply with just the CARB and EPA's sulfur  
22 limits. So, we have spent money. These units were not  
23 free. And the statement that we've been taking a free ride  
24 is just inaccurate.

25 Kern's working on a formula now to be certified to

1 meet the 20 percent aromatics limit by October 1st. The  
2 cost per gallon will exceed the average cost that the large  
3 refiners have spent to make their 10 percent equivalent  
4 formula fuel.

5 And your staff has reviewed our actual cost  
6 figures to build and operate the new equipment that we have  
7 on line and our estimated cost to make the 20 percent  
8 certified aromatic fuel.

9 With our increased capital and operating cost,  
10 it's essential for our survival that we run the refinery as  
11 efficiently as possible. We're now making nearly the volume  
12 which we're limited to by a CARB executive order, which is  
13 called a suspension volume. This limit's 7826 barrels a  
14 day.

15 Since we don't have hydrocracking capacity, our  
16 percent of diesel yield is pretty well fixed by the type of  
17 crudes that we run. Although Kern can make at least the  
18 7800 barrels a day and probably more, there is a minimum  
19 production rate below which Kern will have to reduce crude  
20 runs and production of other products as well as diesel.  
21 And that minimum diesel production rate is 7,000 barrels a  
22 day.

23 Once we're curtailed below that amount, our  
24 ability to make any profit or even recover the cost of  
25 operation, diminishes rapidly.

1           Let me repeat that. Our minimum diesel production  
2 rate is 7,000 barrels a day. If we go below that, we're not  
3 able to run our total refinery and recover the cost of  
4 running it. It's very much an issue of incremental cost;  
5 the larger the amount, the lower the increment. And it's  
6 extremely sensitive to that.

7           Kern does not sell at retail. It supplies its  
8 diesel primarily to independent marketers and direct to  
9 consumers, such as farmers, fleet operators, and truck  
10 stops, a total of over 70 customers. Some of our diesel is  
11 sold through independents to municipal bus companies and  
12 other public agencies. Our gasoline and diesel is also used  
13 by emergency services in our area. I'm talking about  
14 ambulances, fire trucks, and the sort.

15           If Kern is limited to diesel production below  
16 7,000 barrels a day, we will have to curtail sales of diesel  
17 to our independent marketers and direct users and gasoline  
18 to those customers and the major oils who lift gasoline at  
19 our refinery.

20           More likely, we'll be put out of business. If the  
21 Board chooses not to amend the regulation at all, we'd be  
22 left with a diesel limit of only 3595 barrels a day, which  
23 would make continued operation impossible.

24           We can't run the refinery at half capacity. Even  
25 if it would run, we couldn't even recover even our fixed

1 costs. And either way, we'd be dead.

2 As Mr. Moyer of Western Independent Refiners  
3 Association mentioned, the small refiners are not asking for  
4 an increase in our collective diesel market share over  
5 historical levels. We produced at leave 27,000 and some  
6 estimates up to 33,000 barrels a day in 1988, and we're not  
7 asking for any more than that historical level.

8 In our own Southern San Joaquin Valley area, the  
9 reduction of the small refiner diesel market is dramatic.  
10 As we've shared with your staff, in 1983, small refiners  
11 held 83 percent of the local market, with majors and large  
12 independents holding 17 percent.

13 By 1988, the large refiners' share had increased  
14 from that 17 to 26 percent. And we estimate that at this  
15 time, small refiners -- which are Kern and Witco -- market  
16 42 percent of the motor vehicle diesel, with Texaco the  
17 other 58 percent.

18 If the staff's recently revised proposal is  
19 adopted, Texaco's share would jump to 64 percent of the  
20 local market and assume -- that's assuming that we stay in  
21 business, which is not necessarily a good assumption.

22 Even if our limit is 7,000 that we need, Texaco  
23 would pick up to 60 percent of the local market. That's up  
24 from 26 percent in 1988.

25 And, so, I would differ from Mr. Wall's on that

1 point of saying that their market share is about the same.  
2 I think, at least in our marketing area, 60 percent or 64  
3 percent is a whole lot more than 26 percent.

4 Any additional market growth, then, beyond what it  
5 is in 1995, when these limits go into effect, would go to  
6 Texaco, because Kern and Witco would be forever limited to  
7 what you set today.

8 And I use the word "forever guardedly," as Mr.  
9 Lagarias said. I mean, anybody could come back and ask for  
10 additional changes. But we believe that this is the time to  
11 make these decisions, before this thing is implemented.

12 Although Kern directly employs only about a  
13 hundred people in the Bakersfield area, the fact that we're  
14 operating keeps several hundred more people employed  
15 supplying goods and services to our company, doing  
16 engineering, consulting, and construction for us and  
17 marketing our product.

18 The Office of Economic Research of California  
19 Commerce Department has determined that refineries in Kern  
20 County have job multiplier of 6.36, meaning that our plant  
21 keeps 636 people employed locally, not 100. And Kern's  
22 employees are relatively, well-paid skilled workers who  
23 contribute more to the economy than their mere numbers would  
24 indicate.

25 They might be able to get another job if Kern went

1 down, but probably not as good a job, and whole local  
2 economy would suffer.

3 Also, since health care is currently on everyone's  
4 mind, Kern provides its employees with an excellent health  
5 care package and retirement benefits, which probably would  
6 not be available elsewhere in the job market.

7 The staff's recently revised proposal -- this is  
8 the one that was announced this morning -- would limit our  
9 CARB 20 percent fuel to 6400 barrels a day. And that's  
10 according to the staff's estimate. This is obviously better  
11 than what was in the June 10th, which was only 5500, and a  
12 whole lot better than 3595 if the rule's not changed.

13 It's not what we need to remain viable, however.  
14 We must remain viable to address reformulated gasoline here  
15 pretty soon. The staff proposes essentially to limit our  
16 capacity utilization to the 1991-92 industry average of 90  
17 percent, while our larger competitors can operate at 100  
18 percent or even more. As Mr. Lagarias said, when you design  
19 something, you hope -- and if you have good people -- to be  
20 able to achieve that design.

21 We agree with the staff proposal except for that.  
22 If the 90 percent utilization factor were removed, we could  
23 produce 7,000 barrels of diesel and utilize our full-rated  
24 refinery capacity.

25 We then would have a chance of remaining



1 profitable. And I say a chance. We're not guaranteed any  
2 profits. And this is going into our reformulated gasoline  
3 project, where it's extremely critical. And this is what  
4 we're requesting -- the revised staff proposal without the  
5 1991-92 utilization factor of 90 percent. And we certainly  
6 think 90 percent is low. We think that it's appropriate to  
7 allow us utilization of our full capacity. We've talked 95  
8 percent. I think that we're in a critical area here. It  
9 doesn't sound like a few percent -- like very many percent,  
10 but it's very critical to our operation.

11 So, that concludes my remarks. I'll be open to  
12 any questions.

13 CHAIRWOMAN SCHAFER: I had a question to start  
14 with.

15 What is the current production at Kern?

16 MR. EVELAND: We're running pretty close to what  
17 the staff set as our maximum level while this rule is  
18 suspended, which is 7800 barrels a day of diesel, 7826.

19 CHAIRWOMAN SCHAFER: What percent of that is your  
20 capacity? That represents what percent of your capacity?

21 MR. EVELAND: That's running basically full.  
22 That's basically what we can make.

23 CHAIRWOMAN SCHAFER: Okay. Thanks very much. Mr.  
24 Lagarias?

25 MR. LAGARIAS: You indicated that the -- we're

1 going to be limiting you to 90 percent, if this regulation  
2 is adoption, utilization; whereas, the larger industries can  
3 run at 100 percent utilization or greater. But that 90  
4 percent figure was given in exchange for allowing to go to a  
5 20 percent aromatic fuel.

6 You can certainly go to a hundred percent  
7 utilization or greater if you meet the 10 percent aromatic  
8 or reformulated fuel. There's no limitations on utilization  
9 for complying fuel.

10 You're correct in that. If we were capable of  
11 making the 10 percent or a 10 percent equivalent formula, we  
12 would have no limit on our production. But the small  
13 refiners -- and in our operation, it was a tremendous  
14 capital project, the largest capital project we've ever gone  
15 after to desulfurize and remove the sulfur, which is now  
16 used in agriculture in our sulfur recovery plant. And we  
17 looked at the capital requirements for going lower to a 10  
18 percent aromatic. And it just is not feasible for our size  
19 of operation.

20 MR. LAGARIAS: We recognize that, and that's why  
21 the allowance was made for the 20 percent aromatic  
22 production. But, as for sulfur, that's a national issue.  
23 If anybody's going to stay in business in the diesel fuel in  
24 the country, they have to desulfurize. And that affected  
25 everyone equally.

1 MR. EVELAND: That's correct.

2 MR. LAGARIAS: Thank you.

3 CHAIRWOMAN SCHAFFER: Yes. Supervisor Bilbray.

4 SUPERVISOR BILBRAY: A question of staff. In the  
5 cost of production estimates, the difference between the 6  
6 for large at 10 and the 7.5 for independents at the 20, how  
7 much does this gap between the 90 and the 100 percent  
8 contribute to the increased cost of production for the  
9 independents?

10 MR. SIMEROTH: Supervisor Bilbray, we tried to  
11 look at that, and what they would do with the barrels that  
12 they potentially could produce that would not be allowed  
13 under the -- not be allowed under the staff's modified  
14 proposal. 7.5 cents does not include that additional cost.  
15 We figured the lost value for those barrels would add  
16 somewhere around another .4 of a cent to the cost. But,  
17 again, that gets into a lot of assumptions of what market  
18 can they find for the lost barrels, what's their  
19 transportation cost to reach those markets. It gets fairly  
20 soft. And the 7.5 is a weighted average for the three  
21 refineries.

22 SUPERVISOR BILBRAY: We're talking about  
23 Bakersfield and L.A., right?

24 MR. SIMEROTH: Bakersfield and L.A., that's  
25 correct.

1 SUPERVISOR BILBRAY: And Bakersfield might be able  
2 to access out of State, but L.A.'s not exactly the most  
3 perfectly sited location for exporting to Arizona and  
4 Nevada.

5 MR. SIMEROTH: Arizona and Southern Nevada are  
6 supplied via pipeline from the Los Angeles area.

7 SUPERVISOR BILBRAY: Okay.

8 MR. SIMEROTH: Certainly, Bakersfield, any market  
9 they would have to reach would have to be reached via truck.

10 SUPERVISOR BILBRAY: Those numbers really are  
11 pretty, you know, impressing or "depressing," depending on  
12 where you're coming from. And I just want to make sure  
13 that, when we look at that cap, as we said before, how close  
14 to maximum capacity you can generate has a direct  
15 relationship to your unit cost. And you're saying it's  
16 about four-tenths?

17 MR. SIMEROTH: Our rough estimate is .4 of a cent.

18 SUPERVISOR BILBRAY: Now, you say that wasn't  
19 included in here. So, it's .4 of a cent above what? The  
20 7.5.

21 MR. SIMEROTH: That is correct, Supervisor  
22 Bilbray.

23 SUPERVISOR BILBRAY: It's interesting you didn't  
24 consider that into the formula.

25 MR. SIMEROTH: It would round up to probably 8

1 cents instead of the 7.5.

2 SUPERVISOR BILBRAY: Thank you.

3 CHAIRWOMAN SCHAFFER: Mr. Eveland, can Kern produce  
4 20 percent aromatic fuel in the fall?

5 MR. EVELAND: We have a project undergoing, which  
6 we plan to have one or more 20 percent fuel certified prior  
7 to October 1st.

8 CHAIRWOMAN SCHAFFER: Okay. Does your certainty, I  
9 presume, increase if we move the effective date to January  
10 1?

11 MR. EVELAND: It would.

12 CHAIRWOMAN SCHAFFER: It wouldn't affect 20  
13 percent. Staff just corrected my -- strike the question.

14 MR. EVELAND: We have a very tight schedule, and  
15 we were relying on Southwest Research Institute, which had  
16 innumerable problems even making a reference fuel, which  
17 took months longer than they had indicated that it would.

18 Certainly, rolling that date back would give us  
19 some breathing room. But I'm not here to ask for additional  
20 time at this point.

21 CHAIRWOMAN SCHAFFER: I understand.

22 Are there any other questions Mr. Eveland at this  
23 point? If you'd like to take a seat close to the podium,  
24 I'm going to let all the Kern witnesses testify, and there  
25 may be some back and forth questions.

1 MR. EVELAND: These are customers of ours and, et  
2 cetera. They're not Kern employees.

3 CHAIRWOMAN SCHAFER: Okay. Very good.

4 Mr. Jeffries, if you'd like to go first, that's  
5 okay with us.

6 MR. MARCHBANKS: My name is Pat Marchbanks, and  
7 I'm one of Kern's --

8 CHAIRWOMAN SCHAFER: Mr. Marchbanks with Bruce's  
9 Truck Stops.

10 MR. MARCHBANKS: Correct.

11 CHAIRWOMAN SCHAFER: Certainly, you may go first.

12 MR. MARCHBANKS: Thank you. Good morning,  
13 Chairwoman Schafer, thank you for letting us speak. My name  
14 is Pat Marchbanks, and I'm from Bakersfield, California.  
15 And I'm an independent truck stop operator. I'm here today  
16 to talk with you all about 20 percent aromatic diesel  
17 production and limits.

18 I'm here also advocating the position of the  
19 Western Independent Refiners Association, and the small  
20 refineries, and Kern. They are my fuel partners. This  
21 issue is critical to them, to me, my employees, their  
22 families, my customers, and my community.

23 The staff has recommended a modified proposal from  
24 the current regulations. I personally commend them. I urge  
25 you, the Board, to adopt the position outlined by the

1 Western Independent Refiners Association and Kern in regards  
2 to the utilization factors, somewhere between 95 percent and  
3 a hundred.

4 In fairness to all parties concerned in this  
5 request, it's reasonable. There's no price advantage to me.  
6 This does not take away any barrels from the major oil  
7 companies. Rather, it lets people like me continue to  
8 purchase my barrels in the independent refining sector.

9 My business has suffered enough already because of  
10 the aromatic issue. Interstate trucking companies are  
11 increasing purchases out of State of diesel fuel, and  
12 they're limiting purchases in California. Please -- and I  
13 say again, please, do not further damage my business.

14 Be fair. Please adopt the utilization factors  
15 somewhere between 95 and 100 percent. I'm here today to try  
16 and throw in the human factor. I don't any more prepared  
17 statements, but hearing some of the discussions and the  
18 questions today, I would like to see if I could take a few  
19 more minutes just to answer Ms. Edgerton's questions about  
20 customers.

21 In my rural truck stops, we supply rural school  
22 buses. There's school systems with 300 children, and they  
23 don't have big tankage, and they're not supplied by majors.  
24 They deal at our locations. We're set up for emergency  
25 services with the fire department and the National Forest

1 Service. We've had big fires down in Kern County lately.  
2 My locations are open 24 hours. Those are sources for  
3 emergency services.

4 I am an independent. We do a lot of agriculture,  
5 not big farming, small farmers. We take care of emergency  
6 needs, human error. They've ordered possibly from the  
7 Texaco refinery but, for whatever reason, someone forgot to  
8 put fuel in their tank, so they ran out.

9 They can come to the independent side of the  
10 market and take care of needs. That's probably only 15  
11 percent of some of the big agricultural needs.

12 But I'm here to be part of that market. We have  
13 jobs. If Kern Refinery, who's my fuel partner, goes out  
14 of business in Bakersfield and our home town, those 100 jobs  
15 would be lost. As for the Texaco demonstration of the  
16 slides, it appears that that production need could be met  
17 with those slides. But what about those 100 jobs? You  
18 talked earlier about the California economy. Those hundred  
19 jobs aren't going to be replaced by anybody else.

20 Another refinery just turns up a little bit of  
21 production and so we -- we're spiraling again.

22 So, anyway, I'm going to repeat myself and urge  
23 you to support this position. And if I can answer any  
24 questions, I'd be more than happy to.

25 CHAIRWOMAN SCHAFER: Thank you very much, Mr.



1 Marchbanks. Do the Board members have questions for this  
2 witness?

3 Yes, Dr. Boston.

4 DR. BOSTON: Two questions. Number one, you say  
5 that your business was decreased because of the aromatic  
6 fuel rule and indicated that out-of-state truckers are not  
7 buying from you?

8 MR. MARCHBANKS: Correct. There are two markets  
9 in the retail truck stop business. There's the intrastate  
10 business, which is trucking companies that take care of --  
11 and there's the interstate business.

12 The interstate trucking companies are limiting  
13 fuel purchases to 50 gallons in California. They are  
14 topping off in border states. The gallonage, retail  
15 gallonage from truck stops in California is -- the sales are  
16 diminishing. We have been talking with the State Board of  
17 Equalization on the taxation issue of this, trying to put  
18 issues before them that we've got to do something, because  
19 inferior fuel is purchased out of state and burned in our  
20 State.

21 DR. BOSTON: So, they can get all the way into  
22 California and back out without refueling?

23 MR. MARCHBANKS: In the last 100 years, trucking  
24 has gone from three miles to the gallon to seven miles.  
25 They have aluminum engines. They've made them tighter, and

1 their performance on the engine level is greater. Trucks  
2 are lighter. They use aluminum -- their tanks are  
3 enlarging. So, yes, they can now take 350 gallons at the  
4 border and go a thousand miles.

5 DR. BOSTON: Those were some of our other  
6 regulations that did it to you.

7 SUPERVISOR BILBRAY: And that's a lot of illusion  
8 that got in there. There's perceptions that California fuel  
9 causes problems, where our studies show just the opposite.  
10 The midwest is a major problem that the cost here in  
11 California is so terrible, where you say Utah with some of  
12 the most expensive fuel in the country -- but there is a lot  
13 of propaganda out there about buying fuel in California.

14 MR. MARCHBANKS: It's strictly a price issue, not  
15 anything about filters or any of that kind of --

16 SUPERVISOR BILBRAY: Well, there's a whole lot of  
17 propaganda that came out of the private industry about our  
18 fuel in California, which has hurt the fuel industry here  
19 that wasn't based on reality.

20 I understand, if you would look at our price  
21 surveys, you'll see that California's not the highest in the  
22 country.

23 SUPERVISOR RIORDAN: Madam Chairman, if I might.

24 CHAIRWOMAN SCHAFFER: Supervisor Riordan?

25 SUPERVISOR RIORDAN: And I don't mean to do this

1 to Dr. Boston, to interrupt, but the gentleman is right in  
2 what he's saying. And it isn't probably the best of  
3 discussions here. We ought to really think about it in  
4 another hearing.

5 But representing some of those areas that sit  
6 along the State line, I can tell you what's happening. And  
7 they're enticing them with some pretty fancy enticements to  
8 buy and load up those trucks just before they cross into  
9 California. And it's an interesting issue that really  
10 should, I think, at some point in time be discussed by this  
11 Board and by the staff.

12 CHAIRWOMAN SCHAFER: Thank you very much,  
13 Supervisor Riordan. Dr. Boston, did you have a set of  
14 questions?

15 DR. BOSTON: I had one other quick question of  
16 this witness.

17 You mentioned that if the refinery, Kern Refinery,  
18 was to go down, that it would put you out of business.  
19 Couldn't you buy it from Texaco? They said they had plenty  
20 of supply there.

21 MR. MARCHBANKS: If I said that, I was in error.  
22 If they close down, their jobs -- I think I could -- the  
23 product would be available, according to the statistics in  
24 the gallonage and what's in storage, that product probably  
25 is and would be available to me to purchase.

1 I don't know about the fairness of it. Currently,  
2 there are branded and unbranded rack prices in Bakersfield  
3 for Texaco. And in the past year or two, there have been  
4 significant swings in that.

5 Sometimes those gates have been closed and locked.  
6 If Kern went out of business, I don't know how long I could  
7 survive if those gates were locked to independents on the  
8 unbranded side, you know. It's happened. You know, there  
9 have been price spreads between branded and unbranded in the  
10 Bakersfield market.

11 Yes, the product is there. I really believe the  
12 gallon numbers are there. But don't be deceived by their  
13 availability and the fairness in the distribution of those  
14 gallons.

15 DR. BOSTON: Thank you.

16 CHAIRWOMAN SCHAFFER: Thank you very much, Mr.  
17 Marchbanks. I would like to assure Supervisor Riordan that  
18 the issue that she is concerned about is one that I also  
19 share concerns about. And we've done some investigations  
20 with the Board of Equalization concerning the sales and  
21 trends. And it is not the full picture, but it's  
22 interesting to understand your personal experience down in  
23 Bakersfield with your company. And I agree it's a question  
24 for another day, because there's a lot more out there that  
25 we probably do want to look at.

1 SUPERVISOR RIORDAN: Thank you.

2 CHAIRWOMAN SCHAFER: Thank you very much.

3 Mr. Jeffries?

4 MR. JEFFRIES: Good morning. My name is Wayne  
5 Jeffries, President of Jeffries Brothers Petroleum  
6 Distributing.

7 We distribute mainly in the Kern County area. 80  
8 percent of our customers are farmers and agricultural  
9 related. The other 20 percent are car lot fuels. As he  
10 related to you, emergency vehicles, fire trucks, school  
11 buses, et cetera.

12 We've been in business since 1946. We now employ  
13 27 employees, and our current demand for diesel fuel for our  
14 customers is approximately 15,600,000 gallons a month -- I  
15 mean, excuse me, a year. It'd be nice.

16 (Laughter.)

17 MR. JEFFRIES: A year.

18 SUPERVISOR BILBRAY: You wish, right?

19 MR. JEFFRIES: Sorry about that. Our source for  
20 diesel is unbranded Texaco, which we have no signed contract  
21 with, and Kern Oil & Refinery. Over 30 percent of our  
22 diesel we purchase from Kern Oil. Our company relies on  
23 Kern's diesel for continued operation.

24 Many times Texaco has honored, quote, "branded"  
25 distributors with no supply for us unbranded distributors.

1 Without Kern Oil, we would be out of supply to facilitate  
2 the crucial needs of farmers.

3 We desperately need the supplies from Kern Oil.  
4 If Kern Oil Refinery is not allowed to increase its output  
5 or ceases to operate, that leaves Texaco alone to supply our  
6 area.

7 Let me define competition. It is the efforts of  
8 two or more parties acting independently to secure the  
9 business of a third party by the offer of the most favorable  
10 terms to that party, being us and our customers.

11 The definition of a monopoly is the exclusive  
12 control by one company of service or product.

13 Speaking on behalf of one of our customers, Mr.  
14 Jim Bretol (phonetic), who you've all previously heard  
15 testimony from, he could not attend this meeting, because he  
16 is right in the middle of harvesting sugar beets. And time  
17 is of the essence to the harvest.

18 Without diesel fuel, his crops would rot in the  
19 fields in a matter of days. Also, his produce could not go  
20 to market because of the truck transportation needed to get  
21 the produce to market without diesel fuel.

22 He and I agree that what Kern Oil Refinery and  
23 what the other independent refiners are asking is not  
24 unreasonable, but necessary for continuation of business and  
25 secure jobs for all industry related to the farming

1 operations and others.

2 Without competition of refineries, the price would  
3 make farm products in California noncompetitive in the  
4 industry. A rule is an established standard, guide, or  
5 regulation. There comes a point where rules must stop and  
6 people and their survival begin. If you want to keep  
7 California competitive in business for all of us, please  
8 consider this proposal as a necessity to the survival and  
9 future of this great State.

10 Thank you.

11 CHAIRWOMAN SCHAFER: Thank you, Mr. Jeffries. Are  
12 there questions for Mr. Jeffries from the Board members?  
13 Okay. Not at this time. Thank you very much.

14 Mr. Blackburn? Mr. Vernon Blackburn.

15 MR. BLACKBURN: Good morning.

16 CHAIRWOMAN SCHAFER: Good morning.

17 MR. BLACKBURN: My name is Vernon Blackburn. I'm  
18 here today to explain my support for the small refinery  
19 proposal to increase the amount of diesel fuel they can sell  
20 subject to the 20 percent aromatic hydrocarbon content  
21 limit.

22 I've farmed continuously in the southern end of  
23 the San Joaquin Valley near Arvin since 1946. I directly  
24 farm about 320 acres of potatoes and carrots. I'm also the  
25 managing partner of a potato shed that processes about 800

1 acres of potatoes per year. I also own and operate a small  
2 petroleum jobbership in Arvin since 1969.

3 My jobbership buys unbranded fuels to supply its  
4 farm and business customers. We have over 300 farm, ranch,  
5 and business customers. This mix of business gives me a  
6 chance to look at both sides of the supply and the user when  
7 it comes to fuel.

8 The way the proposed rule is written now, Kern Oil  
9 & Refinery would be forced to severely curtail their  
10 production of diesel, which would also reduce other  
11 products. To lose Kern's supply of diesel and even  
12 gasoline, either partially or completely, would be  
13 devastating to the southern end of San Joaquin Valley.

14 Petroleum jobbers in this area seem to be  
15 vulnerable to problems in supply which, in turn, seems to  
16 lead to supply (sic) -- the supply of fuel, especially with  
17 time.

18 When the war in the Middle East broke out in early  
19 August of 1990, the supply of fuel was extremely tight. On  
20 August the 2nd, Texaco refinery in Bakersfield completely  
21 cut off my ability to buy gasoline. On August the 3rd,  
22 Texaco cut me back on my diesel to 60 percent of what I had  
23 purchased in June of 1990.

24 When red diesel became available on January the  
25 1st, 1994, only Kern Oil had it available. Texaco not only



1 didn't have it available, when they finally did have it  
2 available, they initially only allowed sales to branded  
3 Texaco jobbers.

4           During all three of these episodes, Kern Oil  
5 consistently had fuel available and at a competitive price.  
6 The same can't be said of Texaco.

7           My point to all this is that, in my experience,  
8 only Kern Oil seemed to care about me as a customer. It  
9 also points out that unforeseen events can easily cause  
10 supply and price problems.

11           Texaco has proven all too often in the past that  
12 the unbranded purchaser is the first one they cut off when  
13 there is a problem. And we all know there are plenty of  
14 problems that can't be helped.

15           What can be helped is a diesel supply situation in  
16 the southern San Joaquin Valley, since there are only two  
17 major sources of fuel in this area, Texaco and Kern Oil, it  
18 is vital that Kern Oil be allowed to produce more diesel.  
19 Only they seem to be able to take care of me, the unbranded  
20 purchaser.

21           Thank you.

22           CHAIRWOMAN SCHAFFER: Thank you very much, Mr.  
23 Blackburn. Do any of the Board members have questions for  
24 Mr. Blackburn at this time?

25           Thank you very much for coming up today.

1           And Mr. Tomerlin, are you here?

2           MR. TOMERLIN: Thank you, Madam Chairman, and  
3 Board members, and staff. I'll be very brief in my  
4 comments. I'm really having a long day already. A lot of  
5 the things I intended to say has been said, and I won't  
6 repeat them.

7           My name is Jim Tomerlin and I work for Cox  
8 Petroleum and Transportation. We're located in Bakersfield.  
9 We are a family business. We're a family trucking company.  
10 We have 100 employees. We have 34 trucks.

11           In relationship to the small refiners, we do  
12 business with all four of them. And the majority of our  
13 business is done with Kern Oil, because they're located also  
14 in Bakersfield.

15           Not only are we a customer, as the other gentlemen  
16 have spoken, but we're probably a large customer. We use  
17 approximately 60,000 gallons of fuel each month. And last  
18 year, we did experience some problems of getting it locally.  
19 But we had the ability to truck it in. So, we can get fuel.  
20 The hard part was paying for it, not getting it. The other  
21 side of that coin is Kern Oil is one of our customers.

22           Of those 34 trucks and 80 drivers, 14 of those  
23 trucks are employed hauling crude oil. And that's out from  
24 the production site, the tanks that you've seen in the San  
25 Joaquin Valley, picking that up in our trucks and delivering

1 it to their facility for processing.

2 And if this rule goes into effect, as it's been  
3 proposed, and a worst-case scenario that Kern Oil does  
4 close, that's going to mean 10 to 14 trucks, 25 to 30  
5 drivers are going to be unemployed. And it also means it  
6 may have more effect than that, because most of those trucks  
7 -- one truck, a new truck costs about \$180,000 to put it  
8 into service. And most every one of those trucks has some  
9 financing still owed to them. So, you've heard a lot about  
10 utilization. We're no different. We have to use them,  
11 every one, and hope to make enough profit to pay for all of  
12 them.

13 And I just want to say, if we have to shut down 10  
14 of them, that may mean that we'd have to shut them all down.  
15 And I want to thank you for your time.

16 CHAIRWOMAN SCHAFFER: Thank you very much, Mr.  
17 Tomerlin. Do Board members have questions for Mr. Tomerlin?

18 Do Board members have questions for any of the  
19 witnesses from the Kern/Texaco/Bakersfield area at this  
20 point in time?

21 I want to thank you very much. I've had an  
22 opportunity to visit both the Texaco refinery and to  
23 Bakersfield, and appreciate the trip that you all made up  
24 here today, even though I have learned a little bit about  
25 your business, it's very interesting to appreciate how many

1 different facets there are and how complex this industry is.

2 I'd now like to recognize, if he is here, Mr.  
3 James Richey of ARCO. Good morning.

4 MR. RICHEY: Good morning. And I'll also be  
5 brief. My name is Jim Richey, and I'm the Environmental  
6 Health and Safety Manager for ARCO Products Company in Los  
7 Angeles. And I'm here to offer my comments on the proposed  
8 regulations being considered, the amendments to those  
9 regulations.

10 ARCO believes that the regulations, as originally  
11 written, have been more than fair to the small refiners,  
12 because they allow them until October the 1st of this year  
13 to reduce the aromatic levels in their motor vehicle fuels,  
14 and then permit them to meet a 20 percent aromatics level  
15 rather than a 10 percent level.

16 And, as previously stated, a lot of refiners,  
17 including ARCO, have invested millions of dollars -- ARCO  
18 over \$70 million in equipment to produce diesel fuel  
19 containing 10 percent aromatics or its equivalent.  
20 Actually, we produce equivalent diesel. We don't produce 10  
21 percent.

22 We therefore support the ARB's reaffirmation of  
23 the October the 1st compliance date for the small refiners  
24 to produce 20 percent aromatics content diesel fuel.

25 We're pleased to see what had been most

1 distressing about the proposed amendments that were offered  
2 on June the 10th, which was the coupling of an increase in  
3 the exempt volume of 20 percent aromatics diesel with a  
4 limit on the total distillate production, we're pleased that  
5 that's been dropped in this modified proposal, which we were  
6 informed of this week.

7           We believe that provision represented a potential  
8 precedent setting interference into the free workings of the  
9 marketplace, which could have been used by the ARB in the  
10 future as a pretext to regulate the volumetrics of other  
11 refined products, such as CARB Phase 2 gasoline. So, we're  
12 glad that that's -- that proposal is not the one that's  
13 being recommended.

14           However, ARCO is greatly concerned about and  
15 opposes the proposed amendments which would allow small  
16 refiners to increase the exempt volume of 20 percent  
17 aromatics fuel, which they are permitted to produce above  
18 that stated in the ARB's current regulations, which are on  
19 the books.

20           Not only is the Board proposing to increase their  
21 exempt volume above the 65 percent of total distillate,  
22 which is specified in the regulation, the staff's modified  
23 proposal, in effect, increases it to over 100 percent. And  
24 the arithmetic is simple, because the regulation, as  
25 written, limits these small refiners, in aggregate, to about

1 11,000 barrels per day of 20 percent aromatic diesel  
2 production.

3           The first proposal would have increased that close  
4 to 17,000 barrels per day, and the proposal that we're  
5 considering today is to increase that to over -- to about  
6 24,000 barrels per day. So, we're going from 11 to 24.

7           Approving either of these proposals would be going  
8 in the wrong direction if the aim is to clean up the air.  
9 In fashioning the small refiner provisions to this rule, the  
10 ARB stated in its final statement of reasons for that rule  
11 that it had, quote, "sought to limit emissions from small  
12 refiner diesel fuel to the extent feasible. These limits  
13 included imposing a significant cap on small refiner diesel  
14 fuel subject to the less stringent 20 percent standard."  
15 End quote.

16           The proposals being considered today obviously go  
17 contrary to limiting these emissions. As this Board has  
18 acknowledged, when it originally passed this rule and has  
19 subsequently reaffirmed as part of the stipulated judgment  
20 in a suit brought by ARCO last year -- and I'll quote again.  
21 "Primary consideration in the modification of its  
22 regulations is to be given to the mandate to attain and  
23 maintain ambient air quality by achieving the maximum degree  
24 of emission reduction possible from mobile sources." End  
25 quote.

1           Amending the rules to permit more higher polluting  
2 20 percent aromatics diesel fuel to be marketed at the  
3 expense at 10 percent equivalent aromatics diesel is in  
4 clear contradiction of that stipulation.

5           With regard to the proposal delaying the  
6 imposition of the exempt volume limits until January 1st,  
7 1995, this proposal would allow the small refiners to  
8 produce diesel volumes significantly above their current  
9 production for three additional months.

10           We believe this delay is wholly unjustified. The  
11 reason cited in the staff report is the concern over  
12 potential shortages that might occur during the high demand  
13 period of October. And I won't reiterate what has been said  
14 previously, but we concur that that should not be a problem,  
15 including the fact that the quantity that's being talked  
16 about represents only about 6 to 7 percent of the total  
17 California diesel supply, and should pose no major supply  
18 obstacles, especially if the ARB acts now to reject this  
19 proposal, allowing industry to know well in advance and  
20 properly plan.

21           So, in summary, then, I'll make three major  
22 points.

23           One, while ARCO supports the ARB's affirmation of  
24 the October the 1st, 1994, implementation of the 20 percent  
25 aromatics diesel rule for small refiners, we strongly oppose

1 the option which would allow small refiners to increase  
2 production of higher polluting 20 percent aromatics content  
3 diesel above the exempt volumes currently specified in the  
4 rule.

5 Two, we also oppose delaying the implementation of  
6 existing exempt volume limits for motor vehicle diesel fuels  
7 until January the 1st, 1995, for small refiners.

8 And, three, there has been no compelling reason  
9 given for amending the regulation. Further, the changes  
10 proposed have nothing to do with improving air quality.  
11 And, in fact, in the staff's words, in their June 10th  
12 document, quote, "would constitute a significant adverse  
13 environmental impact."

14 Therefore, we believe that this Board should  
15 reject these amendments.

16 And a final point I would add relative to our  
17 concern that this will not be the last time this year that  
18 the ARB will be asked to address the small refiner diesel  
19 issue, we are concerned that these refiners may not be able  
20 to meet the 20 percent standard by October the 1st or by  
21 January the 1st. And the question is, will they be  
22 approaching the Board indirectly through an administrative  
23 process requesting variances from meeting the 20 percent  
24 rule?

25 We've both been down this road before, and we



1 believe now is the time for the Board to determine whether  
2 you can expect these refiners to be able to comply with the  
3 20 percent standard. And we think the appropriate forum for  
4 that discussion is today before the Board members and not in  
5 an administrative hearing.

6 So, we applaud the fact that you are doing that as  
7 they come forward. So that concludes my remarks, and I  
8 would welcome your questions or comments.

9 CHAIRWOMAN SCHAFER: Are there any questions for  
10 Mr. Richey from the Board members?

11 Mr. Calhoun.

12 MR. CALHOUN: Yes, Mr. Richey, I will ask you the  
13 same question I asked the gentleman from Texaco. What fact  
14 or information do you have to suggest that the small  
15 refiners won't be able to meet the compliance date?

16 MR. RICHEY: Not facts. It's the same comments  
17 that were made earlier relative to the workshop that was  
18 held earlier in the year, and the quotes that were made from  
19 that workshop, where it was stated at that time that --  
20 their intended purpose at that time was to be able to  
21 acquire 10 percent fuel and blend to meet the 20 percent  
22 standard. And, as I stated previously, we're not making 10  
23 percent fuel. And, so, we don't know whether there will be  
24 a problem.

25 But what bothers us the most is the fact that,

1 historically, the variance process has not been held before  
2 you. It's been held before an administrative hearing  
3 officer, and you don't necessarily get involved in  
4 deliberating that process. So that's -- we want to put that  
5 on the table and let it be openly aired today.

6 MR. CALHOUN: Thank you.

7 CHAIRWOMAN SCHAFER: Any other questions from  
8 Board members?

9 Ms. Edgerton?

10 MS. EDGERTON: I just want to say that I agree  
11 that ARB should not likely change course, and I think  
12 everybody here on the Board agrees. I don't -- I would be  
13 very surprised if anybody didn't agree wholeheartedly with  
14 that.

15 Before us today, though, is a regulation which was  
16 adopted before many of us joined this Board. And it isn't  
17 as if we're coming into establish the whole diesel program.

18 MR. RICHEY: Right.

19 MS. EDGERTON: We're coming in, being asked to  
20 correct what has been presented as a technical error by the  
21 staff with respect to what the volume was -- what volume was  
22 appropriate in 1988. So, that's a little bit -- I mean,  
23 that puts the context of it differently. We're not -- I  
24 don't have before me, even if we wanted to change the whole  
25 program, that's not even before us.

1           So, I just hasten to emphasize that in terms of  
2 this proceeding. But I did want to say that I am very  
3 sympathetic with your concerns. And I know the stability of  
4 the program is vital, and I will agree that the -- and I'm  
5 sure everyone else here does -- that our primary  
6 consideration is to reduce emissions.

7           And I think that was the primary consideration in  
8 1988.

9           MR. RICHEY: Right.

10          MS. EDGERTON: And that continues as the broad  
11 overlay of the program.

12          MR. RICHEY: Right. If I could respond just  
13 briefly.

14          MS. EDGERTON: I'd love to hear it.

15          MR. RICHEY: It is true this was debated in 1988.  
16 And I would -- I wasn't there. I wasn't at those hearings  
17 then, but I would suppose the concept of setting the  
18 exemption volumes equivalent to capacity to produce versus  
19 historical ability to produce was debated, I would expect,  
20 very hotly back then.

21                 And I quoted the word; that the Board weighed  
22 those things and decided to set a cap. And, as Mr. Lagarias  
23 has said previously, that they didn't cap their -- and even  
24 today, they're not -- what they're proposing -- they're not  
25 capping their ability to make diesel fuel. They're capping

1 their ability to be exempted from making complying 10  
2 percent aromatic diesel fuel. But they still have the  
3 capacity to produce a hundred percent or more of total  
4 distillate if they fall back to the 10 percent aromatic  
5 standard.

6 And that was what was weighed back then, and we  
7 think that should continue to be very much debated if you're  
8 reopening that today.

9 MS. EDGERTON: Thank you.

10 CHAIRWOMAN SCHAFER: Any other questions for Mr.  
11 Richey? if not, thank you very much for your appearance  
12 this morning.

13 MR. RICHEY: Okay. Thank you.

14 CHAIRWOMAN SCHAFER: I'd like now to call on Mr.  
15 Stan Holm of Mobil.

16 MR. HOLM: Good morning. I am Stan Holm with  
17 Mobil Oil Corporation. Thank you for this opportunity to  
18 address the Board on the proposed diesel fuel amendments.

19 Since you already have detailed written comments  
20 stating our opposition and concerns with the amendments, and  
21 since most of my points have already been raised, I'll be  
22 very brief and use this time just to briefly summarize why  
23 Mobil believes the amendments are not necessary and why they  
24 are unfair to larger refineries, and why they should not be  
25 adopted.

1           As you know, the net effect of the two proposed  
2 amendments would be to increase the small refiner exempt  
3 volumes. The increase would be substantial, more than  
4 doubling the current exempt volume limits, if I understand  
5 the recent changes to the amendments correctly.

6           Our prime concern with the amendments is that they  
7 would further increase the considerable economic advantage  
8 extended to small refiners by the regulations. Since CARB  
9 diesel continues to be valued in the marketplace above EPA  
10 diesel, the increase in the allowable production of a less  
11 stringent 20 percent aromatics diesel by the small refiners  
12 would provide them with a large economic windfall.

13           This windfall would come at the expense of air  
14 quality and would be unfair to refiners that are required to  
15 produce cleaner diesel.

16           We see no justification for such a drastic action  
17 at this point in time. The rationale for the proposed  
18 amendments, as put forth in the June 10th staff report, in  
19 our opinion, is extremely weak. The rationale for the  
20 exempt volume increase that would apply in the fourth  
21 quarter of 1994 is to prevent a disruption of diesel supply  
22 during the typically high demand harvest season.

23           The rationale for the other amendments that would  
24 permanently increase the exempt volume increase beginning  
25 January 1st, 1995, is that it was intended, when the diesel

1 regulations were first adopted back in 1988, that the small  
2 refiners be allowed to produce exempt diesel at their  
3 historical motor vehicle diesel production volumes.

4           Apparently, this intent is not quite satisfied by  
5 the current exempt volume limits. However, we at Mobil get  
6 the feeling that the real motivation behind both of the  
7 amendments is to increase the supply of CARB diesel to  
8 reduce the chances of a supply shortage or disruption  
9 similar to what occurred last fall when the regulations  
10 first became effective.

11           While this concern for a shortage may deserve  
12 consideration, we believe it to be unfounded. There simply  
13 is no evidence of an impending shortage this fall or in the  
14 foreseeable future. I won't repeat the reasons for that.  
15 We agree with the reasons stated by other testifiers.

16           And let me address the premise that the current  
17 small refiner exempt volume is somewhat less than their  
18 historical diesel production levels and, therefore, the  
19 exempt volume limits should be increased.

20           This was known at the time when the regulations  
21 were first adopted. When adopting the regulations, the  
22 Board had to balance concerns -- about their concerns about  
23 the financial impact of the regulations on the small  
24 refiners with the need to maintain fairness to the larger  
25 refiners and the need to preserve the air quality benefits

1 of the regulations.

2 To achieve this balance, exempt volume limits were  
3 established. Nothing has really changed since then. There  
4 is no reason at this point in time to increase the economic  
5 advantage afforded small refiners at the expense of the  
6 environment and the larger refiners.

7 In conclusion, Mobil urges the Board not to adopt  
8 the proposed amendments on the ground that they would  
9 unfairly increase the economic advantage extended to small  
10 refiners, further compromise the air quality benefits of the  
11 regulation, and are not justified from the supply  
12 standpoint.

13 If the Board wishes to relax the regulations to  
14 protect against the possibility of a diesel fuel shortage,  
15 you should do so in a manner that is fair and equitable for  
16 all refiners.

17 That concludes my remarks. Thanks again for your  
18 time.

19 CHAIRWOMAN SCHAFFER: Thank you, Mr. Holm. How  
20 much CARB diesel does Mobil market here in California?

21 MR. HOLM: Right now, we do not market any CARB  
22 diesel. We have not produced CARB diesel. However, we do  
23 have some efforts underway to qualify an alternative diesel  
24 blend. It looks optimistic that we're going to be  
25 successful. I can't guarantee we're going to be successful

1 in doing that, but it looks optimistic right now. And if we  
2 are successful, we should be in a position to produce some  
3 this fall.

4 CHAIRWOMAN SCHAFFER: How much diesel was produced  
5 by Mobil for the California market prior to the effective  
6 date of the CARB diesel rule? Roughly.

7 MR. HOLM: I'm just going to have to go by, you  
8 know, some general knowledge. Mobil is not a large producer  
9 of diesel fuel. In fact, if you think -- we're considered a  
10 major refiner. But if you think about Mobil in terms of  
11 diesel, we're really a small refiner.

12 And that's why we insist that we have a level  
13 playing field here. We're looking at the same situation as  
14 the small refiners in terms of what we're going to have to  
15 spend and what the market conditions are for us to get into  
16 that diesel market.

17 To more directly answer your question, it was -- I  
18 don't know, six to ten thousand barrels a day.

19 CHAIRWOMAN SCHAFFER: So, when we switched over to  
20 the CARB diesel, the market here lost that capacity, in  
21 effect.

22 MR. HOLM: Our total diesel production probably  
23 hasn't changed much. We've continued to produce EPA quality  
24 diesel.

25 CHAIRWOMAN SCHAFFER: But it's not marketed here in



1 California.

2 MR. HOLM: Right.

3 CHAIRWOMAN SCHAFFER: Okay. Thank you very much.

4 Are there any questions from Board members for Mr.

5 Holm?

6 If not, thank you very much for your appearance  
7 today.

8 I'd like next to recognize Mr. Al Jessel of  
9 Chevron.

10 MR. JESSEL: Thank you, Madam Chairman --  
11 Chairwoman and members of the Board, especially I want to  
12 welcome the new members of the Board to a diesel issue.

13 CHAIRWOMAN SCHAFFER: We avoided it as long as  
14 possible.

15 (Laughter.)

16 MR. JESSEL: The Chairwoman alluded to the amount  
17 of time it takes, and I think you're getting a taste of that  
18 now.

19 I represent Chevron U.S.A. Products Company. I'm  
20 in the strategic planning business evaluation section, and I  
21 want to express our object to the proposals that have been  
22 placed before you today.

23 The proposed changes would allow what we consider  
24 to be an inequitable and unintended situation to continue, a  
25 situation that is affecting the marketplace today and in a

1 way that is hurting the ability of refiners, such as  
2 Chevron, refiners who have invested substantially and in  
3 good faith to recoup those investments.

4 The proposed changes continue an alarming trend  
5 begun last fall, a trend that leaves Chevron wondering how  
6 committed the ARB is to their rules and how much of this  
7 trend will spill over later into the Phase 2 gasoline rules  
8 where required investments are an order of magnitude higher.

9 I'd like to review this trend of what we consider  
10 inappropriate market interference with you.

11 On October 15th, 1993, as a number of the Board  
12 members here will remember and probably never forget a  
13 hearing that lasted until 10:30 p.m., the Board relaxed the  
14 lower aromatics diesel rule to allow low cost, high  
15 emissions, high sulfur diesel fuel to be sold to off-road  
16 users for a period of 45 days and used subsequently by end  
17 users for 120 days in direct competition with true low  
18 aromatics diesel fuel or fee paid variance fuel.

19 This action came even after if it had been clearly  
20 demonstrated that the market system was working to bring to  
21 an end the unfortunate situation we had last October. On  
22 February 14th, 1994, the Executive Officer, without public  
23 input, summarily relaxed the rule and allowed this high  
24 sulfur fuel to be used by end users until supplies were  
25 completely exhausted.

1 Continuing the trend, on February 7, 1994, the  
2 Executive Officer granted Tosco a variance from the low  
3 aromatics rule that allowed enormous volumes of lower cost  
4 environmentally inferior fuel to reach the market with scant  
5 justification and without the compensating variance fee that  
6 Chevron and others had to pay as a condition of all other  
7 variances granted to date.

8 This, as you know, resulted in litigation that,  
9 unfortunately, never had a chance to be heard in court, let  
10 alone be resolved there. But I hope the fact that this  
11 matter was litigated conveyed the Board our deepest, deepest  
12 concern.

13 We consider these foregoing actions to have been  
14 an invasion into territory that a regulatory agency should,  
15 in fairness, stay out of. Once a rule is enacted, it ought  
16 to stay intact.

17 As we have argued over and over in this country,  
18 tradition has it, that when the government requires private  
19 industry to invest for the public good, government shoulders  
20 very little, if any, of the burden for recovering those  
21 costs. This is unlike many other countries where government  
22 shares in the cost through incentives, such as tax breaks.

23 While we have become used to this form of buck  
24 passing, we may never get used to government interference in  
25 the only mechanism we have to recover investment costs, the

1 open market.

2 In requiring industry to recover the costs of  
3 government mandates on its own, government takes an implicit  
4 vow not to interfere with the only available mechanism. To  
5 be certain, we do not ask that our investment return be  
6 guaranteed. We only ask for a fair opportunity to try to  
7 recover those costs.

8 The ARB actions I just mentioned are examples of  
9 just the sort of interference we find grossly unfair to  
10 those of us who have made good faith investments in response  
11 to demands from the public.

12 We do not think it is too much for us to ask the  
13 government to stick to its rules and resist the temptation  
14 to manipulate the market through selective relaxations of  
15 the rules.

16 Now, let's talk about the latest attempt to  
17 manipulate the market, and that's today's subject.

18 As you heard, on October 20th, 1993, your staff --  
19 and I'm reading here -- I'm going to pause for a second.  
20 You really haven't heard very much about this, and I'm a  
21 little bit surprised. So, I'm going to go into a little bit  
22 of detail about the history behind this particular problem  
23 that we are really deeply disturbed about.

24 On August 20th, 1993 -- this is prior to the  
25 October 1, 1993, compliance date -- your staff, without

1 public input, issued executive orders that suspended ARB's  
2 low sulfur rule for three California small refiners, and  
3 they're the three refiners, excluding Witco, that are in  
4 attendance here today.

5 As you've heard, this automatically exempted those  
6 suspension volumes from the low aromatics rule; in effect,  
7 allowing lower cost, higher emissions, low sulfur diesel  
8 fuel to compete directly with higher cost, lower emissions,  
9 low aromatics diesel fuel.

10 Let me digress for a second. Your staff is  
11 justifying today's proposal in large part upon the Board's  
12 intent. Chevron has sympathy with actions that will rectify  
13 a situation where the intent of the Board is not being  
14 fulfilled.

15 But the Board's intent must be crystal clear and  
16 the policies derived from this intent must be applied  
17 uniformly.

18 In the August 20th, 1993 ARB letters that  
19 initially granted exemptions to the small refiners, the  
20 Executive Officer said that the Board intended that the  
21 amount of noncomplying diesel fuel allowed to be sold under  
22 a suspension -- I need to add that would allow that  
23 suspension volume to be completely -- sold completely  
24 independent of any requirement of the aromatics rule, did  
25 not have to meet any tenets of the aromatics rule

1 whatsoever; that that amount allowed to be sold under  
2 suspension should be limited to historical production. It  
3 makes sense.

4           So, the refiners could not increase market share  
5 at the expense of the environment or of their nonexempted  
6 competition.

7           However, in subsequent letters to the small  
8 refiners, one dated October 8th, the Executive Officer.  
9 apparently in response to objections from the small  
10 refiners, dramatically increased the suspension volumes to  
11 the full capacity of the desulfurization units installed  
12 regardless of historical production rates and regardless of  
13 how much diesel was historically sold in the vehicular  
14 market.

15           Then, on November 1st, the Executive Officer made  
16 it possible for small refiners to take full advantage of  
17 this dramatic increase by allowing them to purchase  
18 intermediate feedstocks to fill out the desulfurization  
19 equipment. Thus, the small refiners were in no way limited  
20 in production if they were allowed to sell this fuel into  
21 the low aromatics market in direct competition with  
22 refiners, such as ourselves, who made fully complying 10  
23 percent aromatics fuel or had variances which required us to  
24 pay a compensating fee.

25           They were given the opportunity to install any

1 amount of desulfurization equipment they wanted to, use it  
2 to its maximum capacity, and sell the resultant lower cost,  
3 higher emissions fuel in direct compensation to refiners,  
4 such as Chevron making complying low aromatics fuel.

5           The staff report makes it quite clear that these  
6 small refiners have been taking full advantage of this  
7 opportunity that we look upon as more than an exemption.  
8 It's nothing sort of a loophole that was abetted by your  
9 staff.

10           The staff report indicates that the small refiners  
11 were producing as much as 32,000 barrels per day of  
12 suspension fuel in October of last year. And that's just  
13 three small refiners -- fully 20 percent of California  
14 demand. That's more than Chevron was producing at either of  
15 our large California refineries.

16           What isn't clear, but what's is implied is that  
17 fuel was complying low sulfur fuel. Thus, what we may have  
18 witnessed is the bizarre spectacle of small refiners being  
19 given a one-year exemption from the low sulfur rule, a rule  
20 that they were, in fact, in compliance with.

21           Certainly, the Board didn't intend this.

22           The next impact of granting the suspension seems  
23 to have been to give the small refiners more time to comply  
24 with the low aromatics rule by a mechanism never  
25 contemplated by the Board.

1           Did the Board intend to reward small refiners that  
2 made low sulfur fuel with a year's delay in having to comply  
3 with the low aromatics rule? We doubt it.

4           The small refiners were also allowed to sell this  
5 higher emissions, lower cost fuel well in excess of  
6 historical production, more than double, judging from the  
7 staff report, allowing them to dramatically increase market  
8 share at the expense of air quality and at the expense of  
9 those refiners who made substantial investments and, as in  
10 our case, paid six cents per gallon for the right to sell a  
11 very same low sulfur product under variance.

12           This could not have been the Board's intent with  
13 respect to relief for small refiners under the low aromatics  
14 rule. I quote from the staff report, page 2, paragraph 2.  
15 This is the staff's quotation of the Board's intent.

16           First, the Board intended to preserve the air  
17 quality benefits of the regulation by limiting the volume of  
18 diesel fuel meeting the less stringent limits. Second, the  
19 Board intended to prevent small refiners from expanding  
20 production as a result of the less stringent standard and  
21 gaining additional market share from other refiners,  
22 particularly those refiners producing a higher quality  
23 cleaner burning fuel.

24           A similar sentiment can be found in both the  
25 October, 1988 technical support document and the August 22,



1 1989, final statement of reasons that accompanied the  
2 adoption of the original rule.

3 Now, the relief in the low aromatics rule that was  
4 intended for small refiners was very clearly the higher  
5 aromatics limit, 20 percent instead of 10, to meet for the  
6 life of the rule. Clearly, there was no intent to exempt an  
7 entire year's maximum production from compliance. But  
8 that's what the small refiners got and apparently took full  
9 advantage of.

10 The Executive Officer granted the suspension  
11 volumes with, in effect, no volume limit, allowed a dramatic  
12 increase in small refiner market share -- and these are  
13 individual refiners. Small refiners did increase market  
14 share. And you've heard testimony that the 14 small  
15 refiners that were in existence in 1988 produced a total of  
16 so many barrels, and the proposal today would not bring you  
17 as many of those barrels of 20 percent fuel.

18 But, in fact, the individual three small refiners  
19 are asking now for that almost entire allocation of 20  
20 percent that would have gone to the 14 small refiners for  
21 three. So, those individual refiners can't stand here and  
22 tell you they're not increasing market shares as individual  
23 refiners.

24 The granting of the suspension volumes with, in  
25 effect, no volume limit, allowed a dramatic increase in

1 small refiner market share of low aromatics diesel fuel, in  
2 effect, even though they never made a drop of it, and did  
3 this years after the Board made it abundantly -- and that  
4 was in the 1988 original adoption; that their preference was  
5 to limit the volume of exempted fuel.

6 We think this action was improper and gave the  
7 small refiners a windfall that the Board did not intend and  
8 that no one else expected or planned for. And windfall it  
9 was.

10 Recall that at the time staff says the small  
11 refiners were producing at nearly their maximum capacity,  
12 i.e. last October, prices were the highest in recent  
13 history. This action has had a significant effect on the  
14 market, representing yet another major intrusion. And  
15 because it came at a time of feared shortages, indicates the  
16 intent to manipulate.

17 Today, your staff is proposing that you change the  
18 exempt volume limits and the low aromatics rule to conform,  
19 as they say, with the Board's intent. However, the staff  
20 report does not even begin to explain what was wrong with  
21 the original 65 percent rule, which had already been  
22 increased from 55 percent in the 1988 proposed rule,  
23 presumably at the request of the small refiners.

24 So, I have to echo what Mr. Richey of ARCO said.  
25 There was debate about this very topic at the 1988

1 rulemaking. And the Board made a decision. The Board  
2 established what they thought was going to be the best thing  
3 for small refiners at that time to adjust what apparently  
4 was an economic disparity and took action, and cast that in  
5 the rule.

6 And refiners, such as Chevron, when we went back  
7 to look at the investment, what kind of investment we'd make  
8 in this rule, we did that after 1988. We did that in the  
9 early nineties. And we made our final decision on -- our  
10 final investment in '91 and '92. And this is after some of  
11 those small refiners had shut down. So, the market that we  
12 had planned on had already -- had already had the small  
13 refiners -- the 14, or 11, or 10, or 9 at that time -- had  
14 already gone out of the market, and we had made our  
15 investment decision based on what we thought was going to be  
16 the supply.

17 And that decision was made well after 1988, and  
18 under the light of several small refiners having already  
19 shut down.

20 Well, was the 65 percent rule and -- or the 55  
21 percent rule, whatever you want to call it, was that -- was  
22 that really a mistake? I guess I heard the sentiment of one  
23 Board member, Ms. Edgerton, I believe, indicate that it  
24 might have been a mistake. I haven't heard the staff say it  
25 was a mistake.

1 But if it was a mistake, you know, there's  
2 probably a rationale for why that mistake was made, and a  
3 good rationale for how to actually rectify it.

4 The original proposal, not the modified proposal  
5 available today, didn't do a very good job of that. It was  
6 appeared (sic) -- it appeared to be designed to give a  
7 favorable outcome for these small refiners under the current  
8 circumstances and really defied any real explanation or any  
9 kind of logic progressing from the 65 percent rule to what  
10 they were proposing.

11 And it might provide the reasonable outcome for  
12 now, but would it provide a reasonable outcome in all cases?  
13 After all, rule changes are intended to be permanent; would  
14 have produced a desired result in the future?

15 That original staff proposal, I guess, as  
16 recognized by the modified proposal coming out, was  
17 seriously flawed. Now, staff's modified proposal dated last  
18 Wednesday seems more rational, except the equation doesn't  
19 seem to work.

20 The new proposal would actually allow an increase  
21 in production beyond any historical level, except for that  
22 reached under the sulfur rule suspension. And I refer to  
23 page 20 of the staff report -- I'll hold it up here in a  
24 second -- which shows the chart, Figure 6, showing what the  
25 historical production -- you don't need to see these in

1 detail, but you can certainly see the very level -- here was  
2 the original -- this is the original period that was cited  
3 by the 1988 rule that the exempt volume was going to be  
4 based on.

5 And then, in 1988 and through pre-October, '93, as  
6 staff has labeled the chart, there was a jump. And then,  
7 around October 1st, there was an enormous jump as the small  
8 refiners began to make the suspension volumes.

9 Now, one could look at the 1983 through '87  
10 period, which was what was originally designed by the  
11 original rule, and say, well, that's the historical  
12 production rate. I've heard some rationale to say that that  
13 wasn't a fair production rate.

14 Well, then, why isn't the 1988 through pre-October  
15 1993 production rate a fair production rate for small  
16 refiners? And that's -- the numbers indicated by that level  
17 was what the proposed option came out to be.

18 But today's modified proposal increases that  
19 amount to somewhere between that and what was allowed under  
20 suspension.

21 And we don't see the rationale why should there be  
22 such an increase allowed. It doesn't bear any resemblance  
23 to any of the historical periods that make sense, other than  
24 the gross production that occurred under suspension.

25 Clearly, this violates the Board's original

1 intent, and even staff's intent, as stated on page 24 of the  
2 report, it would also increase a significant adverse  
3 environmental impact, which was mentioned earlier. That's  
4 on page 22 of the staff report, if you're following, already  
5 identified as a consequence of the original proposal.

6 The modified proposal only becomes understandable  
7 when new intent is invented, such as recognize the role  
8 played by small refiners in the diesel marketplace, which I  
9 submit was recognized by the Board in '88, when they adopted  
10 the rule in the original exemption.

11 These words, to us, are the smoking gun that  
12 provides the staff -- that proves that the staff's intent  
13 is to help small refiners influence the marketplace at the  
14 expense of the environment and at the expense of complying  
15 refiners. We must cry foul.

16 And I heard another disturbing comment this  
17 morning from the Executive Officer, who thought that the  
18 State should assure that there was an oversupply of diesel  
19 in the State in order to make sure that there was no spot  
20 shortage. We find those remarks rather disturbing.  
21 Obviously, an oversupply has a great deal to do with the  
22 price in the market and seriously limits our ability to  
23 recover the investments we made in good faith.

24 In addition, your staff recommends you delay the  
25 imposition of the exempt volume limits, whatever they turn

1 out to be. This would allow the small refiners another  
2 three months of production at the outrageous current rate  
3 allowed under suspension, albeit at the 20 percent aromatics  
4 level.

5 The rationale is once again the time worn threat  
6 of shortage, and I'm not going to take you through that  
7 again, over a series of circumstances which occurred once.  
8 None of those forces seem to be at work at this point right  
9 now. And I just don't see the rationale behind making a  
10 decision based on what really is a scare tactic.

11 These staff proposals, while inappropriate in any  
12 context, are especially so in light of the windfall that  
13 these same small refiners have received during the past 10  
14 months.

15 We cannot support handing them another gift right  
16 on the heels of the enormous gift they received  
17 serendipitously last year. And I have to echo another  
18 sentiment that I heard from the Board, and that is when will  
19 the requests for relief stop?

20 There were several in 1988. There were suspension  
21 volumes that they were granted last year, and now there's  
22 this. When will it ever end? How do refiners like  
23 ourselves know how to predict the marketplace if we can't  
24 rely on the stability of rules?

25 The small refiners, because of what they were

1 allowed under suspension, should remain constrained under  
2 the original rule, if for no other reason than to reimburse  
3 the State's air quality for the damage already done.

4           You might also -- and here's another digression --  
5 it might be worthwhile to reflect on the US EPA's threat  
6 contained in the proposed California Federal Implementation  
7 Plan to tighten the State's NOx elsewhere if the low  
8 aromatics diesel rules were relaxed.

9           This could cause Chevron to pay once more for the  
10 Board's largesse toward the small refiners. And there's one  
11 question you might pose to staff. They've said that the  
12 benefit of the rule is so many tons per day in term of NOx.  
13 My question would be, is that based on the original 1988  
14 projection of exempt volume or is that based on today's --  
15 or what today's proposal contains? And does that represent  
16 the -- does 70 tons per day really represent the credit the  
17 State can get in terms of NOx control under the proposed  
18 suspension -- excuse me -- proposed exempt volume.

19           In summary, we see absolutely no need to further  
20 mitigate the small refiners' economic challenges of  
21 complying with the low aromatics diesel fuel rule, and once  
22 again request the Board resist that the temptation to make  
23 one more foray into the marketplace.

24           We strongly urge the Board to reject all of the  
25 staff's proposals and leave the rule as is. A rejection on



1 your part would be looked upon by Chevron as a signal that  
2 the Board will adhere to its rule after all, and as a  
3 reversal of this dangerous trend of weakness and overt  
4 market manipulation so far exhibited.

5 Now, I'm going to add something I wasn't going to  
6 say unless I had to.

7 You've heard a lot this morning from very small  
8 businesses and small refiners about the problems that they  
9 face in the current regulated environment. Chevron and the  
10 other large refiners are no exception to that.

11 The small refiners and the small business people  
12 want you to adopt the attitude that the big guys like us  
13 will take care of ourselves. But anyone who's paid the  
14 least amount of attention to our industry in the past few  
15 years knows that it is in the process of a major  
16 restructuring forced, from our viewpoint, by an interaction  
17 between government regulations and the intensely competitive  
18 nature of our business.

19 The thousands of jobs -- literally thousands of  
20 jobs, just Chevron -- and I know that two of my -- two other  
21 large refiners have, within the past several weeks,  
22 announced restructurings that's going to cost them thousands  
23 of jobs each, also. Thousands of jobs. This is more than  
24 all the small refiners employ.

25 Chevron is now investing about a billion dollars

1 in our two West Coast refineries to make CARB gasoline. The  
2 price we paid to get this capital from our corporate  
3 financiers was the sale or closure of two other refineries  
4 that together employ about 1800 people.

5 The loss of this investment would spell disaster  
6 for Chevron's entire refining and marketing unit. Thousands  
7 of Chevron employees could be affected by the ARB's  
8 disposition to smooth the market for a few vocal special  
9 interests at, what we perceive, our expense.

10 We hope you think as much of Chevron people as  
11 much as you think of others when you consider the effects of  
12 your action today.

13 I also took a bunch of notes on some things that  
14 were said here earlier, and I'd like to -- sorry I'm taking  
15 so much time, but I would like to rebut a couple of things  
16 that you heard.

17 Let's talk about the price differential. The  
18 small refiners have postulated and the staff, I guess, has  
19 concurred that -- and I'm assuming that it would be a  
20 certified alternative fuel meeting the 20 percent standard  
21 that would be a 7.5 cent per gallon cost to the small  
22 refiners versus 6 for the majors. I want to point out one  
23 thing right now. The market is giving us back about 4 cents  
24 per gallon of low aromatics over low sulfur right now. So,  
25 if that 6 is right, then somebody is really taking it in the

1 shorts.

2 And let me also comment on the difference between  
3 7.5 cents and 6 cents a gallon. I think in the original  
4 technical support document in 1988, we were talking  
5 differences between the small refiners of almost four times.  
6 I think the highest number I remember is 57 cents a gallon  
7 for small refiners, and the lowest was maybe 11 for large.

8 That's a very large difference. And that has  
9 shrunk suddenly to 1.5, which is one quarter of what the  
10 large refiners are purported to cost.

11 I wonder how real that 1.5 cents a gallon really  
12 is. And you heard Mr. Walz from Texaco saying his costs, at  
13 least what I understood him to say, are not out of line with  
14 that 7.5 cents per gallon. It sounds to me like the small  
15 refiners are able to produce a 20 percent alternative at  
16 pretty close to the same cost as majors. I don't see any  
17 need why they need ore incentive.

18 One other thing. In the original 1988 hearing  
19 and, as expressed in the technical support document, CARB  
20 staff had a difficult time trying to figure out what the  
21 historical period should be for imposing the 65 percent  
22 rule. And one of the reasons that they chose the period  
23 they did -- and the period is not, coincidentally, the  
24 period that preceded the adoption of the 1988 rule -- and it  
25 was stated in the technical support document that one good

1 reason for doing that was to prevent gaming of the system.

2 If somebody knew that they would be able to take  
3 advantage of higher production later on, then they would  
4 have an incentive to increase that production.

5 Well, the staff was concerned about that, and  
6 that's one of the reasons why that historical period was  
7 chosen. I'll leave it to you to decide whether the system  
8 is open to being gamed under today's proposal.

9 I think I hit most of the other points. I'm  
10 amazed. Oh, I need, if I may, confirm one thing. The  
11 modified proposal was not noticed with 45 days' advance  
12 (sic). I'm assuming that there will be a 15-day comment  
13 period? I want to make sure. I haven't heard that  
14 expressed yet. The Board should understand that.

15 CHAIRWOMAN SCHAFFER: I usually cover that point  
16 before we consider the staff's resolution.

17 MR. JESSEL: Okay. Thank you. I guess I'll stop  
18 there and give you an opportunity to ask --

19 CHAIRWOMAN SCHAFFER: Thank you very much, Mr.  
20 Jessel. Could you tell me us again -- I perhaps wasn't  
21 listening carefully enough -- what position you have with  
22 Chevron?

23 MR. JESSEL: I'm a planning consultant with the  
24 strategic planning and business evaluation unit. I am a  
25 fulltime employee. The "consultant" is a misnomer.

1 CHAIRWOMAN SCHAFFER: Okay. Thank you very much.  
2 Do any Board members have questions for Mr. Jessel at this  
3 time?

4 Mr. Lagarias and then Supervisor Vagim.

5 MR. LAGARIAS: I'd just like to hear the Executive  
6 Officer comment about the October 8th, 1993, letter to small  
7 refiners?

8 MR. BOYD: Well, we'd have to dig that out and put  
9 it in a certain context, Mr. Lagarias.

10 But let me just give you a little bit of history  
11 here. Let me comment that Mr. Jessel and I stood arm and  
12 arm and side by side through the disasters of last fall,  
13 appearing before the same legislative committees or the same  
14 Legislators in their private quarters, trying to make our  
15 way through this.

16 And Chevron got its share of variances. Chevron  
17 had its share of upsets and breakdowns, as did Texaco, all  
18 of which contributed to why the ARB staff gave variances to  
19 hosts of people to keep the supply fairly up with the  
20 command that we all saw out there and had nothing to do with  
21 anything but that.

22 And with regard to the Tosco, the other side of  
23 the story there is that Tosco forewent its right or its  
24 opportunity or privilege to continue to produce 20 percent  
25 fuel far into the future. The quid pro quo on the variance

1 was that they would certify a 10 percent fuel and market it  
2 in a short period of time. And they did just that. So, the  
3 breathers got a very big return on that particular  
4 investment. And we got back some of the -- some of the  
5 unfortunate public health costs of the crisis period of  
6 time.

7 Everything done by your staff and by the Executive  
8 Officer during this period of time, including suspensions,  
9 extensions, changes in compliance, was to try to get the  
10 supply up to match the historical demand. And that's the  
11 only reason therefor.

12 Also, I think, Mr. Jessel took license with my  
13 words today and translated them into subscribing to  
14 oversupply. And I hope he doesn't report that to his  
15 management, because there'd just be a typical comment of  
16 some bureaucrat in Sacramento subscribing to oversupply.

17 My descriptions this morning were relative to the  
18 uniqueness of the California marketplace, the difficulties  
19 of the transportation system to reach out and touch all  
20 parts of the marketplace, and how -- somehow or another --  
21 the synergism between the large and small refiners in the  
22 past has taken care of meeting those needs.

23 And, as we painfully experienced and learned from  
24 history, that when there are deficiencies in one or the  
25 other, the marketplace didn't get served. And when the

1 majors had these major upsets that prevented them -- some of  
2 them from even coming on line in time to meet the October 1,  
3 or really September start date, you know, we were in a world  
4 of hurt. And it was very difficult to fill in some of those  
5 voids.

6 And last but not least, a lot of talk about the  
7 incredible leadtime people have been given here to meet  
8 these regulations and, yet, I am personal witness to a  
9 series of meetings over the past several years here in  
10 Sacramento between major oil companies -- particularly  
11 Chevron -- and management of this organization, as we've  
12 gotten closer and closer to the October, '93 date,  
13 questioning whether or not we were going to stick to our  
14 guns and keep the rule in place, indicating that they had to  
15 know, because they had yet to make their major decision on  
16 making the capital investment.

17 So, I have my own theory that the reason, you  
18 know, we -- one of the reasons we didn't get all the blocks  
19 on time last fall was perhaps some of the refiners didn't  
20 take advantage of all the leadtime and get a fast enough  
21 start. And when they tried to crank them up in time for  
22 October 1st, we found major mechanical failures occurring in  
23 some of the facilities.

24 So, I don't like to point fingers. We have  
25 slogged our way through this thing together, particularly --

1 I had particularly publicly thanked Chevron for the heroic  
2 work that he had done to try to keep everything up and  
3 running and to flood the market during the crisis. And we  
4 kind of slogged through it together.

5 But the time has now passed and there's a  
6 different view. But everything we did -- variances,  
7 extensions, or anything else -- was just to keep the supply  
8 barely up with the demand, and to fill the little voids that  
9 were being created all over the place, and to address the  
10 unfortunate happenstance of having a regulation go into  
11 effect during a period of time, which turned out to be a  
12 very high ag demand time.

13 Again, as I said earlier, that's our mistake. We  
14 thought the idea of having our regulation start at the same  
15 time as the EPA regulation was the right thing to do. That  
16 was argued to us, and we concurred with it. And,  
17 admittedly, didn't pay attention to what time of the year  
18 that really was in California and pay enough attention to  
19 the uniqueness of California vis-a-vis the whole federal  
20 scene.

21 So, all of those are factors in why we took all  
22 the actions we took to keep the supply up with the very high  
23 demand that took place.

24 MR. LAGARIAS: Thank you.

25 MR. JESSEL: May I have a chance to say a couple



1 things? I don't want to start an argument between Mr. Boyd  
2 and myself. I think there are --

3 CHAIRWOMAN SCHAFER: Just a moment, please, the  
4 reporter needs to change her tape.

5 (Thereupon, there was a brief pause in the  
6 proceedings.)

7 MR. JESSEL: I have no interest in trying to  
8 challenge Mr. Boyd here in public. I agree we did slog  
9 through this thing together, and we are very grateful for  
10 the way that the ARB did cooperate in a lot of the problems  
11 that we had in startup.

12 But I would like to say one thing, and that is, he  
13 didn't mention that everytime we got a variance -- and we  
14 got several -- we paid dearly that for that variance in  
15 order to make up the difference. The difference was 6 cents  
16 a gallon. And that has totaled so far about \$9.5 million,  
17 which is now sitting in an escrow account, which was  
18 originally designed to mitigate the air quality damage that  
19 would be done by selling the noncomplying fuel.

20 So, when I say -- when people say we got a  
21 variance and imply that it sounded like we got a break, we  
22 don't think we got a break. We had to pay that 6 cents a  
23 gallon that your staff says was industry's average cost of  
24 production.

25 CHAIRWOMAN SCHAFER: I believe I did hear that

1 from your testimony earlier.

2 MR. JESSEL: Thank you. And I think I'll wind it  
3 up there, unless there's further questions.

4 CHAIRWOMAN SCHAFFER: Yes, Dr. Boston.

5 DR. BOSTON: Mr. Jessel, does Chevron have a  
6 presence in the San Joaquin Valley? You've heard the  
7 testimony earlier; how would you answer some of those supply  
8 demands in the southern San Joaquin Valley if something did  
9 happen to put the small refiner out of business there?

10 MR. JESSEL: First of all, let me say that we're  
11 not here with the intent to put small refiners out of  
12 business. I think the staff and the ARB can choose a  
13 rational level of production that they can live with at the  
14 20 percent aromatics rate. We're asking that you not  
15 increase that amount beyond some rational number.

16 So, we don't foresee that this is going to cause a  
17 small refiner to go out of business. Even if a small  
18 refiner did go out of business -- and, again, that's not why  
19 we're here -- the market will take care of it as the market  
20 did last October. And when our units got going and other  
21 people's units got going and, as Mr. Boyd said, flooded the  
22 market -- and you're not coming upon the kind of situation  
23 we had last October 1 -- the whole rule, and the EPA rule,  
24 and the federal tax increases were all happening at the same  
25 time.

1           The situation just does not exist on the horizon  
2 again. So, the market, if a refiner had to cut back, would  
3 fill in. I firmly believe that. And we're asking that you,  
4 you know, have faith in that mechanism and leave it to us.

5           DR. BOSTON: Can you give me a real quick  
6 education on the difference in making 10 percent aromatic  
7 and 20 percent? What's the type of investment needed to get  
8 from that stage to 10 percent needed from 20 percent.

9           MR. JESSEL: You have to answer one question  
10 first. And that is, are you talking about a certified  
11 alternative against the 10 percent standard versus 20, or a  
12 true 10 percent versus a true 20 percent.

13          DR. BOSTON: 20 percent.

14          MR. JESSEL: Against a true 20?

15          DR. BOSTON: Right.

16          MR. JESSEL: Both would probably require  
17 substantial investment in dearomatization. Now, if you  
18 compare making a true 10 percent against a certified  
19 alternative against a 20 percent standard, the 10 percent  
20 would require that substantial investment for  
21 dearomatization, but the 20 percent might not. It is  
22 possible -- and maybe the gentleman from Kern could confirm,  
23 that you could take -- low sulfur fuel now at the current  
24 aromatics level -- not change it, add cetane improving  
25 additives, and be able to certify against the 20 percent.

1 standard.

2 That would relieve the small refiners of any need  
3 to invest the kind of money we've invested in  
4 dearomatization. That would leave them only with the  
5 investment needed to desulfurize, which they've already  
6 made, and leave them only with the extra cost of cetane  
7 improver.

8 DR. BOSTON: Thank you.

9 CHAIRWOMAN SCHAFFER: Supervisor Vagim.

10 SUPERVISOR VAGIM: Thank you, Madam Chair. Dr.  
11 Boston had part of what my question was.

12 But, in addition, what percentage is your market  
13 share? Because much has been made about the unfair  
14 advantage. What percentage is your market share now and  
15 what was it before the regulation?

16 MR. JESSEL: That's a hard question to answer.  
17 The reason is, most of our fuel is sold to third parties.  
18 They're mostly people who contract with Chevron to pick up  
19 the fuel. Once they take the fuel, we don't know really who  
20 it's sold to, for what purpose.

21 We didn't know that before the rule; we don't know  
22 that now. The only way we could compare market share is if  
23 you make the assumption that what we produce is basically  
24 what's sold. That is not a good assumption, because much  
25 diesel fuel that we produce is shipped out of state. We

1 make a fair amount of low sulfur fuel at our El Segundo  
2 refinery, which is exported to the Pacific Northwest where  
3 we have obligations to customers there, and to surrounding  
4 states.

5 So, actually, knowing what the market share is is  
6 a difficult proposition. Sorry, I don't mean to skirt the  
7 question. I know it's an important one, but we have tried  
8 to figure that ourselves internally and haven't come up with  
9 a good answer.

10 SUPERVISOR VAGIM: Thank you.

11 CHAIRWOMAN SCHAFER: Any other questions from  
12 Board members for Mr. Jessel? If not, I thank you very much  
13 for your testimony this morning.

14 Is Melissa Chapman of Unocal here? Please, come  
15 forward.

16 MS. CHAPMAN: It might be difficult to make a  
17 point that hasn't been made in the last presentation. So,  
18 if you hear a repetitive, I apologize for that. I'll try  
19 and pick as well as I can.

20 My name is Melissa Chapman, and I'm a fuels  
21 planning engineer for Union Oil Company of California, also  
22 known as Unocal.

23 Before I comment on the proposed revisions to the  
24 small refiners' diesel requirements, I want to first express  
25 our deep concern that CARB is considering changes to the

1 existing diesel regulation almost a year after its  
2 implementation date.

3 If adopted, this action may have significant  
4 implications for the successful implementation of CARB's  
5 Phase 2 gasoline regulation.

6 California refiners are currently spending  
7 hundreds of millions of dollars to reconfigure their  
8 refineries in order to comply with the Phase 2 regulation.  
9 No doubt, many are extremely nervous that the California  
10 gasoline market may not allow them to recover the large  
11 capital investments required to comply with the regulation.

12 By continuing to make last-minute revisions to  
13 existing fuel regulations, CARB is sending a clear message  
14 to California refiners that the regulation on which they are  
15 basing their multi-hundred million dollar investments is  
16 subject to changes that may endanger those investments.

17 Concern and uncertainty increase as CARB continues  
18 to deviate from a consistent application of the current  
19 diesel regulation. CARB must allow the diesel regulation to  
20 work in its present form and refrain from upsetting the  
21 California fuels market by continuing to propose revisions.

22 Unocal opposes both of the proposed revisions to  
23 the small refiners' diesel regulations. CARB's proposal to  
24 allow small refiners to produce 20 volume percent aromatic  
25 diesel fuel up to their exempt volume based on the period

1 from 1988 to 1992 is unwarranted from an equity standpoint.

2 This proposal is also contrary to CARB's stated  
3 intent in adopting the small refiner provisions -- to  
4 preclude a small refiner from using the less stringent 20  
5 percent standard to increase its market share over that  
6 experienced in the period from 1983 to 1987, at the expense  
7 of increased emissions.

8 CARB notes that throughout the staff report that  
9 most refiners' production of California -- excuse me -- that  
10 small refiners' production of California vehicular diesel  
11 fuel in the base years of 1983 to 1987 was substantially  
12 greater than the industry average of 65 percent of total  
13 California distillate production.

14 Moreover, CARB states in the staff report that,  
15 quote, ". . .the current volume limits for small refiners  
16 are substantially less than their base year production of  
17 motor vehicle diesel fuel and may actually prevent them from  
18 marketing diesel fuel at their historic levels."

19 It is clear from this statement and the recent  
20 release of proposed amendments that the staff knows the  
21 actual volume of motor vehicle diesel fuel produced by each  
22 small refiner during the 1983 to 1987 base years.

23 We have asked staff to provide the data used to  
24 substantiate this claim; however, we were told that the  
25 information was either confidential or not covered by the

1 Public Records Act.

2 If the small refiners production of motor vehicle  
3 diesel fuel is actually greater than the 65 percent industry  
4 average, it may be appropriate to increase their exempt  
5 volume to more accurately reflect their 1983 to 1987 base  
6 year production.

7 However, changing the period on which the exempt  
8 volume is based in order to reflect a period of overall  
9 higher production is completely unwarranted. The original  
10 regulation already addresses the potential problem of low  
11 production periods during the 1983 to 1987 base years by  
12 allowing the exempt volume to be based on the average of the  
13 three highest annual production volumes during the five year  
14 time period.

15 Basing exempt volumes on a period of overall  
16 higher production clearly allows small refiners to use the  
17 less stringent 20 percent standard to increase their market  
18 share with a dirtier fuel. It also fails to maintain the  
19 fairness and equity of the original regulation relative to  
20 the large refiners who invested large amounts of capital and  
21 other resources to comply with the stricter standards backed  
22 by the understanding that small refiners would not be able  
23 to use their less stringent standards to increase their  
24 market share over the 1983 to 1987 base period.

25 Previous testimony has elaborated quite a bit on



1 the advantages that the existing regulation already gives  
2 small refiners, so I won't get into that. But we do want to  
3 say that this proposal -- if CARB adopts this proposal, it  
4 will tilt the playing field even more to the advantage of  
5 the small refiner by increasing their exempt volume limit.

6 Large California refiners have had to scrutinize  
7 their investments and upgrades in order ensure a reasonable  
8 return on their investments, despite the ever-changing  
9 myriad of state and federal regulations.

10 Small refiners should be expected to do the same.  
11 If small refiners have made investments to upgrade their  
12 refineries in order to produce volumes of California diesel  
13 fuel in excess of their production rates during the 1983 to  
14 1987 base years, they should have done so knowing that they  
15 would have to produce either a 10 percent aromatic fuel or a  
16 certified alternative formula beyond their exempt volume.

17 Small refiners' exempt volumes should not be  
18 increased at the expense of increased emissions.

19 CARB also proposes to postpone the effective date  
20 of the exempt volume limitation requirement three months, to  
21 January 1st of 1995, in order to prevent shortages of diesel  
22 fuel during a peak demand period.

23 Apparently, CARB has determined that there is a  
24 risk of supply shortages if the small refiners are held to  
25 their exempt volume limitations beginning October 1st of

1 this year.

2           Again, we have requested data to substantiate this  
3 claim, but have been told that it is either confidential or  
4 not covered by the Public Records Act.

5           It is highly unlikely that there will be a supply  
6 shortage of diesel fuel in the California market if the  
7 three small refiners currently under suspension are held to  
8 their current exempt volumes on October 1st of this year.

9           Excluding small refiners' production, California  
10 refiners can produce over 200,000 barrels per day of  
11 complying diesel fuel. This is more than enough diesel fuel  
12 to satisfy the California market even during a high demand  
13 period. In addition, the October 1st, 1994 compliance date  
14 neither requires the additional demands of new federal low  
15 sulfur regulations nor includes a federal fuel tax increase  
16 as did the October 1st, 1993 compliance date.

17           The diesel market is not under the supply  
18 pressures experienced in the fall of 1993 and will not be  
19 affected by the small refiners' October 1st compliance date.

20           CARB also states in the staff report that the  
21 extension of the exempt volume limitation effective date is  
22 necessary to allow time for market adjustments as  
23 distributors and end users look for new fuel suppliers.

24           Distributors and end users have known since the  
25 adoption of CARB's original regulation that small refiners'

1 20 percent aromatic diesel production will be limited to  
2 their historic levels beginning on October 1st of 1994.  
3 They have had more than sufficient time to make marketing  
4 adjustments and secure fuel from other suppliers. An  
5 effective date extension allowing an additional three months  
6 to respond to a regulation that has been on the books for  
7 over five years is unwarranted.

8 There's no need to extend the effective date of  
9 the small refiners exempt volume limitations.

10 In summary, Unocal opposes any revision to the  
11 existing low aromatics diesel regulation. The California  
12 diesel market can be adequately supplied without extending  
13 the effective date of the small refiners exempt volume  
14 limitations.

15 Also, any move to allow a small refiner to  
16 increase its production of 20 percent aromatic diesel and  
17 therefore its market share, relative to the 1983 to 1987  
18 base period, with this dirtier fuel is clearly outside the  
19 intent of the original regulation.

20 It is also unfair to those refiners who invested  
21 capital and other resources to fully comply with the  
22 environmental intent of the California regulation without  
23 the benefit of less stringent provisions.

24 That's all I have to say. I'm open to any  
25 questions.

1 CHAIRWOMAN SCHAFFER: Thank you very much, Ms.  
2 Chapman. Are there any questions from Board members? Mr.  
3 Calhoun.

4 MR. CALHOUN: Madam Chairwoman, I guess I'd like  
5 to ask the staff a question.

6 CHAIRWOMAN SCHAFFER: Please, go ahead.

7 MR. CALHOUN: We keep hearing reference to the 65  
8 percent volume. Is the total exempt volume from all the  
9 small refiners different from what was originally adopted?

10 MR. SIMEROTH: Mr. Calhoun, the total exempt  
11 volume depends upon the number of small refiners and their  
12 historic production rates. So, as the small refiners go out  
13 of business or stop producing motor vehicle diesel fuel, the  
14 total exempt volume pool will go down.

15 MR. CALHOUN: I understand that. I guess what I  
16 had reference to was at the time when the original  
17 regulations were adopted, is the total volume at that time  
18 substantially different from what you're proposing today?

19 MR. SIMEROTH: I'm sorry. I answered the wrong  
20 question.

21 In 1988, when we adopted -- the original staff  
22 proposal was 55 percent. At that time, at that 55 percent  
23 factor, we estimated that the exempt volume would be 19,000  
24 barrels with an unknown quantity that Powerine could be  
25 expected to produce, because Powerine at that time was shut

1 down, but was expected to come back into operation.

2 If you take the 19,000 and correct it to 65  
3 percent, assume a reasonable volume production for Powerine,  
4 you'd be in the neighborhood of the 25,000 barrels a day  
5 that you heard earlier in the testimony from Mr. Moyer.

6 MR. CALHOUN: So, in effect, the total exempt  
7 volume that you're suggesting here isn't substantially  
8 different from the 25,000 barrels based on the original  
9 regulation, right?

10 MR. SIMEROTH: Mr. Calhoun, that'd be correct when  
11 you make all the corrections to calculate that number.

12 MR. CALHOUN: So, then, I guess the question I'd  
13 ask you, Ms. Chapman, is the concern that you expressed  
14 about fairness -- did Union Oil Company make its decision  
15 based on the original 28, 26,000, 25,000 barrels, or based  
16 on a moving market, what you thought the market would be?

17 MS. CHAPMAN: Well, I think, you know, there was a  
18 series of decisions that were made. And each time, the  
19 market was looked at, and who were the players in that  
20 market. And each time, we looked at the volume that each  
21 specific small refiner was able to make and the market that  
22 each ne of those small refiners was serving.

23 So, I agree or I understand that the total volume  
24 has not changed, but if you looked at the volume that each  
25 small refiner is allowed to make, that has changed

1 considerably.

2 MR. CALHOUN: Thank you.

3 CHAIRWOMAN SCHAFER: Thank you, Mr. Calhoun. Are  
4 there any questions from Board members for Ms. Chapman?  
5 Yes, Ms. Edgerton.

6 MS. EDGERTON: I just wanted to thank you for your  
7 excellent presentation.

8 MS. CHAPMAN: Thank you.

9 CHAIRWOMAN SCHAFER: Thank you very much.  
10 I'd like now to recognize Carolyn Green of  
11 Ultramar.

12 Good afternoon.

13 MS. GREEN: Good afternoon, Chairwoman Schafer,  
14 members of the Board. My name is Carolyn Green. I am the  
15 Director of Government and Public Affairs for Ultramar, Inc.

16 Unlike many of the people you've heard before you,  
17 we are not a small refiner and we are not a major refiner.  
18 We are an independent, and that puts us in a unique  
19 position, because right now, we are the only independent  
20 refiner in California subject to this rule, particularly the  
21 20 percent provisions.

22 You do have our written testimony in front of you.  
23 The only item I particularly want to call to your attention  
24 in my oral remarks is the fact that, when the exempt volumes  
25 were determined back in 1988, the production and sales in

1 California were taken into account.

2           The proposal does not do that now. So, what you  
3 really have is the potential for a refiner who may have ben  
4 exporting some of their product, now to use their entire  
5 California capacity for use in California.

6           And then they could expand their capacity to  
7 export additional amounts, which could, in some instances,  
8 result in their exceeding historical volumes in California.  
9 And we think that that is something that was unintended in  
10 the staff's proposal. We don't think the staff proposal is  
11 appropriate anyway, but there is that potential.

12           The other comments that I would like to make are  
13 really to point out that it seems that this debate is  
14 centered around keeping an industry, i.e. the small  
15 refiners, whole.

16           But the reality that you're talking about is that  
17 you are looking at a volume that was produced by 13 or 14  
18 refiners. And now what you're being asked to do is give  
19 three refiners that entire amount. And at least two of  
20 those refiners are direct competitors of Ultramar. We are  
21 not like a lot of the other major refiners. We do sell in  
22 the independent market. And, in fact, our historical  
23 volumes are the same or smaller than the suspended volumes.

24           For example, Paramount's suspended volume is  
25 11,700 barrels a day, which is approximately the same as our

1 historical production.

2           Powerine's suspended volume is 15,600 barrels a  
3 day, which is larger than our capacity, not just our  
4 historic production -- our capacity. So, what you're  
5 looking at here for us in particular is an opportunity for  
6 us to lose market when we're playing by the rules. Somehow,  
7 we don't understand the equity there, and we would like you  
8 to look at that issue. And we agree with the other speakers  
9 that there is no reason for the changes that staff is  
10 requesting.

11           Thank you very much.

12           CHAIRWOMAN SCHAFER: Thank you, Ms. Green. Are  
13 there any questions from Board members?

14           Yes, Mr. Lagarias.

15           MR. LAGARIAS: Ms. Green, you are pointing that  
16 the small refiners shrank from 13 to about 3 as a result of  
17 their decision to go out of the diesel market.

18           MS. GREEN: No, they did not shrink from 13 to 3  
19 as a result of their decision to go out of the diesel  
20 market. They shrank from 13 to 3 as a result of other  
21 market issues. Diesel may have been one of them, but they  
22 shrank because of their plants were not technically --  
23 technologically advanced. Their operations may not have  
24 been efficient. There are a whole host of reasons. It's  
25 not just the diesel issue.



1 MR. LAGARIAS: Thank you. I stand corrected.

2 But at the same time, some of the majors also, for  
3 whatever reasons, left the diesel market as well. Is this  
4 not correct?

5 MS. GREEN: That's absolutely right. And they're  
6 not asking you to make adjustments to take that into  
7 account.

8 MR. LAGARIAS: Where do you think their market  
9 share ought to go from those major ones? Do you think that  
10 ought to be -- if you're making the point that the  
11 independents -- remaining independents are asking for the  
12 quantity we identified for independents, then the same  
13 argument can be made that the majors should be taken over,  
14 which they would if they could, that market share of the  
15 diesel that the major -- those major companies left. Isn't  
16 this not so?

17 MS. GREEN: They are not asking you to give them  
18 that market share. They're doing what they need to do  
19 within the context of the existing rule. And that's the  
20 issue here.

21 MR. LAGARIAS: Well, it was market share that was  
22 brought up. What do you think should be done with a market  
23 share of those organizations that no longer supply the  
24 diesel market?

25 MS. GREEN: What we are saying is that the Air

1 Resources Board ought to be regulating air quality. They  
2 ought not to be regulating the market. And that's being  
3 asked to do. You're being asked to regulate the market,  
4 which we think is inappropriate for this body to do that.

5 An earlier speaker said that the overall fuel  
6 market is the purview of the California Energy Commission.  
7 Why not have them go there?

8 MR. LAGARIAS: I agree that our primary charge is  
9 to maintain and improve air quality; at the same time, we  
10 have to consider equity issues in doing that. And we are in  
11 a dilemma, and we tread very cautiously when we look at  
12 anything that affects the marketplace.

13 But our primary concern is to improve air quality.

14 CHAIRWOMAN SCHAFFER: Are there other questions for  
15 Ms. Green? Yes, Ms. Edgerton.

16 MS. EDGERTON: I just got your written comments as  
17 I sat down this morning, and I've been listening to some  
18 other folks. And I just wanted to understand better why  
19 Ultramar, from what you say, since the volume is -- why, as  
20 a technical matter -- you just don't qualify as a small  
21 refiner, but --

22 MS. GREEN: No.

23 MS. EDGERTON: Where do you fit? I still don't --

24 MS. GREEN: Two issues. One, the technical issue  
25 is in the way the exempt volumes are being defined. One was

1 based on California production for sale in California. Now,  
2 what it's being based on is overall production capacity.

3 It's not looking at what volumes may have been, in  
4 fact, exported out of California. So, you're not looking at  
5 the same potential volumes now. That's the issue we raised.

6 But beyond that, whether or not these provisions  
7 would advantage Ultramar, we philosophically oppose changing  
8 the rules of the game in midstream. It sends an ominous  
9 signal that you can come in and chip away at the outside of  
10 a rule until, at some point, you have no rule and we have no  
11 certainty, and everybody gets more cynical about the  
12 process.

13 MS. EDGERTON: Ms. Green, you, with your  
14 considerable experience -- I happen to know of it, because  
15 we're both in the Los Angeles area and I know of your  
16 experience -- I would be very interested in your view --  
17 obviously, you've given this a lot of thought from your  
18 company's point of view. Air pollution regulations, which  
19 you were with the South Coast for some time and know that  
20 very well, and some of the consequences of economic burdens  
21 on how they fall with different -- on different industries.

22 What would you -- where do you think consideration  
23 of the economic effect on the small business should fit in  
24 the consideration of a regulation? I'm asking you  
25 personally, because I have a lot of respect for your

1 experience. You've been in private and public sector.

2 MS. GREEN: I think there are two places. One is  
3 when the rule is adopted, it ought to take into account  
4 cost-effectiveness of the rule and the differential cost-  
5 effectiveness of imposing the same requirements on a large  
6 or a small business. Because it may -- it may, in fact, be  
7 different.

8 Secondly, it ought to take into account ability to  
9 pay, and that's -- because no matter how cost-effective it  
10 is, it may put someone out of business. And that is one of  
11 the considerations that your Board takes into account when  
12 adopting a rule or regulation. It certainly was one of the  
13 important aspects of the South Coast's process.

14 And, then, later on, when you're looking at the  
15 way the rule is working in fact, there may be, based on new  
16 information, there may be some -- some justification in  
17 making some minor adjustments, to the extent that that rule  
18 itself is causing the concerns.

19 But we have here are so many factors that are  
20 influencing what's happening in the small refiner market,  
21 that staff has not made a case that this rule specifically  
22 is the cause of the woes that you're being asked to address.

23 And, so, I'm just not sure that there's a real  
24 problem that this rule is solving.

25 And that's what our -- one of the things that our

1 testimony said. What is the problem here? What's the real  
2 problem that you're attempting to solve? You've heard a  
3 number of people cite different issues, because it's not  
4 clear.

5 CHAIRWOMAN SCHAFER: Are there any other questions  
6 from Board members for Ms. Green?

7 Yes, Mr. Parnell.

8 MR. PARNELL: Well, of the staff. If I  
9 understand, the exempt volume under the prior regulation was  
10 "X," 25 million barrels, or whatever that number was. There  
11 were then 14 independent refiners. Today, there are four.  
12 And we're redistributing that among them. Am I  
13 misunderstanding something here?

14 That seems to be a real distortion if that's  
15 occurring.

16 MR. SCHEIBLE: No. When the Board adopted the  
17 rule, at that time, when you pooled all the barrels produced  
18 by the small refiners, and you figured out the exempt  
19 volume, and you anticipated Powerine coming back on line,  
20 you calculated something in excess of 25,000 barrels of fuel  
21 at 20 percent could be made under the regulation.

22 And that did not accrue to the industry. It  
23 simply is the total of all the individual pieces. So, at  
24 that point, the Board decided that it was willing to give up  
25 the environmental benefits of 10 percent fuel for that

1 volume had all those refiners stayed in business and  
2 produced.

3           So, today, what we have is a situation where many  
4 of those refiners are no longer in business; therefore, they  
5 no longer can use their allocation. And if we increase the  
6 allocation for the remaining refiners, we still won't go  
7 above the level that the Board originally contemplated might  
8 occur had all those stayed in place.

9           And we don't view any action we're taking here as  
10 allocating market share or whatever. We're trying to figure  
11 out what's the right level to allow the refiners to  
12 reasonably operate at and compete in the marketplace.

13           MR. PARNELL: Thank you for that. But the effect  
14 of, even though our eye was on environmental effect -- and  
15 what you say is true with respect to environmental, the  
16 bottom line is that the effect of what will be done is a  
17 redistribution of that volume to three or four, which was  
18 historically 14. And then, with respect to the other  
19 comment that was made that's a concern to me, that this has  
20 no -- is not addressing the issue of fuel sold in  
21 California.

22           That seems --

23           MR. SCHEIBLE: With respect to the fuel sold in  
24 California, of the three small refiners and what they have  
25 reported historically to the California Energy Commission is

1 that they don't show any exports. And we'd have to go back  
2 and verify that. But they basically, for those three  
3 actors, it appears that almost all of the fuel that they  
4 produced in the diesel market was sold in the California  
5 market and was not counted as an export.

6 In terms of what the final market share will be, I  
7 think we found out that the suspension volume, for example,  
8 in a time of shortage, when -- in October -- the small  
9 refiners produced at close to their suspension volumes.  
10 Once the shortage was over in November-December, their  
11 volumes dropped down.

12 So, the fact that they have a certain allocation  
13 of 20 percent fuel doesn't mean that they will be successful  
14 in selling that amount of fuel. It just means that, if they  
15 are successful in selling fuel, they can sell that amount --  
16 up to that amount at 20 percent.

17 If we restrict it at a lower level, it means that  
18 they can sell much less than the production that they've  
19 been able to achieve even before the rule went into effect  
20 at 20 percent. And then they will either have to market  
21 outside the State or find a way to produce 10 percent or 10  
22 percent equivalent fuel.

23 CHAIRWOMAN SCHAFFER: Supervisor Bilbray.

24 SUPERVISOR BILBRAY: I think we've got to  
25 recognize, too, the earlier testimony, that the baselines on

1 certain companies were artificially low because of the  
2 economic problems. So, as we get into this situation, you  
3 had, you know, you had a grossly depressed economic  
4 situation as a baseline, and then -- which probably  
5 contributed to some degree, either indirectly, in this whole  
6 configuration of why we end up with what we've got now and  
7 the number of operators.

8 So, I think this thing sort of balances itself out  
9 when looked at from the economic point of view, because the  
10 environmental may be there, but you obviously have an  
11 artificially low baseline that we originally projected on,  
12 because we weren't aware that there were certain economic  
13 factors that had driven that price -- I mean those numbers  
14 just so far down at that time. Thank you.

15 MR. LAGARIAS: Madam Chair?

16 MS. GREEN: I do have one question, and that is  
17 related to the comments about being able to market a 20  
18 percent fuel.

19 If a small refiner is not able to produce a 20  
20 percent actual or equivalent fuel by October 1 of '94, and  
21 this -- these amendments are adopted, would they then seek a  
22 variance for their exempt volumes now or that much higher  
23 volume?

24 CHAIRWOMAN SCHAFFER: I don't believe I can answer  
25 that question. I don't know that the staff can project an



1 answer to that question.

2 MS. GREEN: Well, the --

3 CHAIRWOMAN SCHAFFER: But I can understand why you  
4 would have it in mind. I just don't think we can resolve  
5 that today.

6 MS. GREEN: Well, that's a real concern, because  
7 then what some of the other speakers have alluded to is  
8 exactly what winds up happening. You have even greater  
9 volumes of noncompliant (sic) fuel on the market, and kind  
10 of in anticipation of some questions. It is very difficult.  
11 It is not a straight process or straight extrapolation to  
12 produce 20 percent fuel, especially a 20 percent certified  
13 as opposed to a 10 percent.

14 There are differences in fuel. There are -- it's  
15 almost impossible to find blendstocks, et cetera. We have  
16 not certified a 20 percent fuel yet. We have spent probably  
17 half a million dollars so far developing reference fuels,  
18 and candidate fuels, and testing them, et cetera.

19 So, based on our personal experience, it is going  
20 to be difficult to certify a fuel. And, so, the question of  
21 what happens in terms of a variance and -- what you're  
22 really talking about -- in terms of volumes that are out  
23 there on the market that don't comply with either a 10  
24 percent or a 20 percent, is a real issue from our  
25 perspective.

1 We will not be in the market until we certify a 20  
2 percent fuel, and because we're playing by the rules. And  
3 we think everyone else should, too.

4 CHAIRWOMAN SCHAFFER: Mr. Calhoun.

5 MR. CALHOUN: May I ask the staff to comment on  
6 that? The point that Ms. Green made is that, in the vent  
7 that some of the small refiners could not meet the  
8 production date and sought a variance, would the variance be  
9 limited to what is currently on the books or this proposed  
10 volume change?

11 MR. KENNY: It's difficult to specifically respond  
12 to the question, other than to simply say that the small  
13 refiners who are not in compliance on that particular date  
14 would obviously have the right to apply for a variance.

15 But the resolution of that particular variance, in  
16 terms of the -- whether it was given or any conditions  
17 associated with it being given, would be dependent upon the  
18 individual facts that were associated with the application.

19 CHAIRWOMAN SCHAFFER: Ms. Edgerton?

20 MS. EDGERTON: This is related, actually, to the  
21 question I wanted to ask.

22 You and a number of the large oil companies have  
23 raised a concern about the precedent this would set with  
24 respect to the stability of the reformulated gas  
25 specifications we've set for 1966.

1 MS. GREEN: '96.

2 MS. EDGERTON: 1996. 1966 was a good year, but I  
3 actually do know it has passed.

4 Is the kind of scenario that you just painted the  
5 kind of thing you're worried about? Can you be more  
6 specific? I can think of some things that are analogs. But  
7 what is specifically -- as specific as you can be -- the  
8 worry about what this -- what message this sends about the  
9 reformulated gas specifications? Because they're two  
10 different sets of regulations.

11 MS. GREEN: The specific worry is that people will  
12 do two things; one, just keep carping at the regulation --  
13 not necessarily at its heart, but at its arm and its leg.  
14 And, at some point, you have a useless body that can't  
15 function, one.

16 Secondly, though, the concern is that people will  
17 make business decisions to place the odds and not make those  
18 investments that they need to make because they're gambling  
19 on you bailing them out by relaxing something here or there  
20 until the net effect is that you've gutted the regulatory  
21 process.

22 CHAIRWOMAN SCHAFFER: Thank you very much, Ms.  
23 Green, for your presentation today.

24 MS. GREEN: Thank you.

25 CHAIRWOMAN SCHAFFER: Mr. Lagarias, you had a

1 question for staff?

2 MR. LAGARIAS: Yes. This question of allowing the  
3 independent refiners to have market a 20 percent cap  
4 aromatic fuel, one of the issues is how long is that going  
5 to go on? Is that going on in perpetuity or what's the  
6 story?

7 Now, as I understand it, some of the alternative  
8 reformulated diesel fuels to meet the 10 percent limit  
9 actually exceed a 20 percent aromatic fuel content; is this  
10 correct? Or may exceed.

11 MR. SIMEROTH: Mr. Lagarias, some of the  
12 formulations do exceed. I can't go into the details,  
13 because they're asked to be asked to be held confidential.

14 MR. LAGARIAS: Well, if that's the case, wouldn't  
15 it make sense to look at how the independent producers can  
16 make an alternative reformulated diesel fuel that may exceed  
17 a 20 percent content, but be in compliance with our 10  
18 percent fuel regulation? Sometime in the future, could you  
19 look into that so that we can sunset or eliminate this  
20 disparity between the 20 percent aromatic content allowed  
21 the independent producers and the 10 percent, or  
22 reformulated fuel formulation, that the larger producers  
23 have to meet?

24 MR. VENTURINI: Mr. Lagarias, if it's your desire  
25 and the Board's ultimate desire that we look at some

1 appropriate time at whether or not, in essence, a sunset  
2 provision should be applied, I think we would certainly be  
3 willing to conduct that analysis. And over the next few  
4 years, the small refiners will be dealing with what they're  
5 going to do to comply with the reform regulations, and we'll  
6 have much better information on what their situation is in  
7 that regard as well.

8 MR. LAGARIAS: Thank you.

9 CHAIRWOMAN SCHAFFER: Thank you very much, Mr.  
10 Lagarias.

11 As I think is already evident, I intend to  
12 continue to hear witnesses, with the hope to try to conclude  
13 prior to the time that Board members need to depart.

14 I would like next to recognize Mr. Glenn Lingle of  
15 Paramount.

16 MR. LINGLE: Madam Chairman, ladies and gentlemen,  
17 my name is Glenn Lingle. I'm president of Paramount  
18 Petroleum. We also have in the audience the owner and chief  
19 executive officer of Paramount Petroleum.

20 You've asked many people today that's come to this  
21 podium what do you do with the corporation that you're  
22 speaking for.

23 The reason I'm here and the reason that the  
24 presidents of all three of the independent refiners are  
25 present is not the fact that we will have a restructuring or

1 some other matter. If we cannot resolve this issue to what  
2 we think is a fair and equitable solution, you will not have  
3 to worry about most of us being around to talk to you much  
4 longer.

5 So, we think this is extremely important. I have  
6 some very competent people that work for me. But we wanted  
7 to make sure that we got the very best representation to the  
8 Board as possible to give you our side of the story.

9 I've heard a lot of comments. Ms. Green made some  
10 very good points. I would like to address a few of them in  
11 bullet points. I'm not going to get specific.

12 I think most people here should understand that  
13 when we talk about giving the independents a break and  
14 giving them this, giving them that, you all have -- as of  
15 now, if we want to look at this as a monetary value, the  
16 Board has not given the independents one thing. We're here  
17 today asking for volume so that playing field is level, and  
18 we have a right to compete for the diesel market in the  
19 State of California.

20 That's what the bottom line comes down to.  
21 Individually and collectively, we have spent more money, on  
22 an average, to get to where we are today to try to comply  
23 with 20 percent aromatic equivalent diesel than the majors  
24 have in marketing 10 percent aromatic equivalent diesel.

25 Therefore, we are not asking for a subsidy. We're

1 not asking for anything else. We're asking just level the  
2 playing field.

3 Most of ladies and gentlemen do not understand the  
4 workings of a refinery. I've heard many of my counterparts  
5 in the business from ARCO, and Texaco, and Chevron talk  
6 about that they have 215,000 barrels of diesel available to  
7 make CARB diesel with. They show our little numbers down  
8 there, possible 11,000, possible 16,000, possible 23,000.

9 The other side of the coin, and if we could  
10 discuss this -- we're not going to get into it, but to the  
11 gentleman, if we had a -- for instance, ARCO L.A. refinery  
12 that's in the same situation today that the Wells (phonetic)  
13 Texaco refinery's in; is Chevron going to make 90,000  
14 barrels of diesel that they say they can make, or are they  
15 going to get out and make that -- taking their units and  
16 their refinery and converting that to 90,000 barrels of  
17 gasoline to opt in, because ARCO couldn't supply their  
18 market (sic)?

19 A lot of people have a lot of capacity, especially  
20 majors. They have units that are high pressure  
21 hydrocrackers. By doing this, they make low aromatic diesel  
22 stocks, and they can swing their barrel around dramatically  
23 between gasoline, jet fuels, and diesel. Independents do  
24 not have the luxury of having this type of scheme for our  
25 refineries.

1 Ms. Green of Ultramar made the statement that they  
2 put their money where their mouth is; that they spent up to  
3 half a million dollars testing. We passed a half a million  
4 dollars a half a year ago in testing. We're not only  
5 testing, we're developing an additive package that we think  
6 is going to be revolutionary to the hydrocarbon market in  
7 the United States and the world, not only the State of  
8 California.

9 It not only reduces NOx, CO, and the rest of it,  
10 it reduces everything. It looks good. We expect,  
11 unequivocally, to have our diesel certified before October  
12 1. We've been working on this very diligently now for over  
13 15 months. We have not put off and defrayed costs or  
14 anything else waiting to see if we can get in here and  
15 convince the staff of CARB, will you give us another free  
16 ride.

17 I've been president of Paramount Petroleum now for  
18 nearly eight years. During that eight-year period, we've  
19 been out of bankruptcy two and a half -- two. During that  
20 period of time, it started in 1989, December, in bankruptcy,  
21 right out of bankruptcy. I started squeezing enough money  
22 to start making the necessary modification to our refinery  
23 so that we could qualify for the suspension volumes that we  
24 got in 1993-94. We spent literally millions of dollars  
25 squeezed out of a Chapter 11 budget to comply with these



1 things.

2 I wish that I -- I have worked for majors, by the  
3 way. I was a refining expert for the Kingdom of Saudi  
4 Arabia for 12 years, built six grassroot refineries in Saudi  
5 Arabia, the best in the world. I know the major side. I've  
6 had the purse so full you couldn't pick it up.

7 On the business side, you get much more -- much  
8 more down to earth and you run leaner and meaner to survive.

9 I wish we had the luxury -- as the gentleman from  
10 Chevron says, "We got to restructure." And you look at  
11 Amoco says they're restructuring. Texaco says they're  
12 restructuring. All this tells me is they got so many people  
13 they can make money despite themselves.

14 We're down to 200-and-some people running a 46,000  
15 barrel a day refinery on about  
16 seven, eight different feedstocks. And that's lean and  
17 mean.

18 The last point is -- I want to make here is that--  
19 I don't want to take up a lot of time. Paramount Petroleum,  
20 in 1988, in 1989, our fixed and variable costs were  
21 approximately \$3.00. That's supposed to be confidential,  
22 but we're going to put that out. Since then, we have drove  
23 that down dramatically, because we have asked of our  
24 employees to do two jobs or a job and a half. We've got to  
25 survive in a market that's bitter. They have responded by

1 doing that. We haven't put on enough people to tell you.  
2 We've had to add a few in the environmental section just to  
3 keep up with the paper work.

4           What's killing us is our cost is gone up 50  
5 percent to maintain the same level of payments we must make  
6 for process safety management, for RECLAIM program, for Rule  
7 2281, for Rule CCR 2282, for Clean Air Act amended in 1990.  
8 I'm spending -- one-third of my budget now is not fixed or  
9 variable, because each year I have to add in these other  
10 pieces that's above and beyond and put out special effort to  
11 do it. And the only way I can do it is take that piece of  
12 equipment down there and run it to its maximum capability.  
13 We thank the staff. They have been open.

14           We have supplied them tons of data. I've heard  
15 many people question the costs here today. If they've got  
16 any different numbers, I'd like to look at them, because  
17 we've dug through everything we could think of.

18           What I'm telling you is they've worked hard and  
19 they've worked diligently, and we think they've come up with  
20 the best suggestion I think they can do. We thank them for  
21 it. And we thank the Board for the time and energy to  
22 listen to us.

23           But I'm telling you we cannot survive if you don't  
24 give us the same type of deal, a right to compete, running  
25 our equipment at a hundred percent as the majors can.

1 I know the majors' making 10 percent, and we make  
2 a 20. But I have paid more money, and more time, and more  
3 effort to get to this 20 percent than the majors have to get  
4 to their 10. Level the playing field and you'll keep three  
5 independent refiners.

6 Thank you very much.

7 CHAIRWOMAN SCHAFFER: Thank you very much, Mr.  
8 Lingle. Do Board members have questions for Mr. Lingle?

9 SUPERVISOR VAGIM: Madam Chair?

10 CHAIRWOMAN SCHAFFER: Yes, Supervisor Vagim.

11 SUPERVISOR VAGIM: Yes. The supply seems to be  
12 the biggest issue at this particular point. Can you speak  
13 to the supply, particularly in the areas where there doesn't  
14 seem to be a heavy influence on the majors -- from the  
15 majors?

16 MR. LINGLE: Paramount. I can't speak for  
17 Paramount. I can't speak for the others. We find that our  
18 supply issue goes -- a heavy percentage of it goes out to  
19 customers that are going south towards San Diego into the  
20 farming area, down in that area, and into the Imperial  
21 Valley. We're about the closest thing around. Powerine's  
22 over there, but they seem to have maybe a little -- and he's  
23 going to speak here in a minute, and he can address that.

24 But we see a lot of our customers coming in. And  
25 during the last year perceived diesel crisis -- it caused a

1 lot of upset. It shouldn't have happened. But we got a lot  
2 of customers out of the San Joaquin Valley, also. We think  
3 that most of our customers, most all of our customers are  
4 independents, small independents. Our credit standards and  
5 the rest of it, we don't have as high as the Chevrons, and  
6 the ARCOs, and other people. And people can come in and  
7 qualify to get terms with us better than they can from  
8 majors generally.

9 SUPERVISOR VAGIM: Well, one of the issues,  
10 though, that was laid out by the smaller refiners and their  
11 folks that spoke and supported their point of view was the  
12 fact that there are areas where there's a supply crisis.

13 MR. LINGLE: It is.

14 SUPERVISOR VAGIM: And this is really to fill the  
15 gap of that supply problem.

16 MR. LINGLE: If you'd drive through Sacramento --  
17 I'll say Sacramento; I haven't driven through it that much.  
18 But I can take you to L.A., and I'd drive you 20 blocks.  
19 I'll show you four different independent suppliers. Every  
20 one of them had their costs down from 3 to 6 cents under any  
21 major in town. If these four independent suppliers vanish,  
22 those costs on those majors -- I can't say they're going to  
23 raise them, but I know that they're not there because the  
24 independents decided they'd just be three or four cents  
25 cheaper.

1           There's always a balance. And people -- I have  
2 learned in my lifetime -- I've been in this business 26  
3 years, been all over the world many times. I find if you  
4 give people a chance, they want to make a good return on  
5 their investment. And it seems the better return they get,  
6 they feel like they should get a better return on the  
7 investment. And all of us would like to have investments  
8 that bring back every six months a return. That's a good  
9 return on investment. And we can't do it, unfortunately,  
10 because we have competition out there that keeps us from  
11 getting that type of return.

12           SUPERVISOR VAGIM: Yeah, when we speak to price.  
13 But I'm talking about supply. And they're interrelated.

14           MR. LINGLE: That is the same thing.

15           SUPERVISOR VAGIM: Okay. I know they're  
16 interrelated. But the fact of it is, no matter what the  
17 price is, if the fuel isn't available, that's a whole  
18 different animal.

19           MR. LINGLE: Fuel is available. It's going to be  
20 like this gentleman farmer here today who spoke. It doesn't  
21 matter any difference what anything else is -- he's going to  
22 lose his crop. It's going to rot in the field. He's not  
23 going to have stuff to run his tractors with. That's why we  
24 had people driving from the middle of San Joaquin and from  
25 Frisco to Paramount Petroleum, which is a long drive to get

1 a truckload of diesel back last October, November.

2 SUPERVISOR VAGIM: One of the issues that they're  
3 pointing out is that they would protect that by having the  
4 ability to produce --

5 MR. LINGLE: (Interjecting) That's right. If we  
6 wasn't there, they wouldn't have got the diesel.

7 SUPERVISOR VAGIM: Okay. But what they're saying  
8 is that, if they don't have the ability to elevate that,  
9 that crisis could happen again.

10 MR. LINGLE: Absolutely. I agree. I know that  
11 the majors --

12 SUPERVISOR VAGIM: Wait. Now you're kind of  
13 speaking for the modification, though, is what I'm saying.  
14 I mean, the modification is allowing more fuel supply.

15 MR. LINGLE: That's what I'm asking for more.

16 SUPERVISOR VAGIM: But you're an independent, and  
17 you're saying you want to have an even playing field.

18 MR. LINGLE: It is an even playing field. The  
19 even playing field is 20 plus 10. We put the money out;  
20 they put the money out. We put the effort out; they put the  
21 effort out.

22 SUPERVISOR VAGIM: So, you don't have a problem  
23 with the rule right now, then.

24 MR. LINGLE: No. What they have -- what they have  
25 suggested, I've said they've done very good work. I think,

1 and the only thing that I'm asking for is we're allowed to  
2 make a hundred percent of our production in 20, and the  
3 majors make a hundred percent of 10.

4 SUPERVISOR VAGIM: I see. So, you want the  
5 independents to be in that group.

6 MR. LINGLE: That's right.

7 SUPERVISOR VAGIM: I see.

8 MR. LINGLE: That's level. I've spent as much  
9 money as they have or more.

10 SUPERVISOR VAGIM: Well, you make a point. Thank  
11 you.

12 MR. LINGLE: Any other questions? Thank you very  
13 much.

14 CHAIRWOMAN SCHAFER: No, thank you very much, Mr.  
15 Lingle.

16 And, finally -- well, actually, there's two more  
17 witnesses. Mr. Gualtieri of Powerine Oil. Are you here Mr.  
18 Gualtieri?

19 MR. GUALTIERI: Good afternoon, Madam Chairwoman,  
20 members of the Board. I've been changing my presentation to  
21 cut it down. I changed morning to afternoon. And I thought  
22 I might even have to change it to evening.

23 My name is Al Gualtieri. I'm president of  
24 Powerine Oil Company, which operates a 49,500 barrel per day  
25 refinery in Santa Fe Springs.

1           The special provisions for the small refiners in  
2 the current regulation may have seemed appropriate at the  
3 time the regulation was adopted in 1988. But in retrospect,  
4 these provisions would have allowed Powerine and the other  
5 small refiners -- would not have allowed us to remain  
6 competitive. It is very clear today that these provisions  
7 did not work; since the regulation, as it is now written,  
8 would restrict the operation of the Powerine refinery and  
9 make our business uneconomical.

10           When the original regulation was adopted, no one  
11 here in Sacramento on the Board, on the staff, and certainly  
12 in the refining industry had any ideas of the magnitude of  
13 the changes that would have to be made in the refining  
14 industry to comply with all the regulations affecting not  
15 only the fuel quality, but compliance with the numerous  
16 environmental, safety, and health regulations that have been  
17 adopted in recent years by various agencies.

18           These changes have required all of us in the  
19 industry to make very large capital investments and the  
20 production costs for all of the refineries, large and small,  
21 have increased significantly.

22           You've already heard from the large refining  
23 companies that they, to remain economical, have been going  
24 through major restructuring programs in their companies,  
25 including significant reductions in their organizations, as



1 well as closing down or selling off what, in my view, is  
2 some of their less efficient refining operations.

3 As a small refiner, we did not have another  
4 facilities to dispose of, and our organization, which has  
5 always been very lean, we did not have the staff reductions  
6 to try to reduce our operating costs.

7 The one change that all refineries, both large and  
8 small, have experienced recently to make us more  
9 economically viable is that all refineries today are running  
10 at their optimal capacity utilization.

11 As we speak and, as you saw earlier, the refining  
12 industry is now operating at well above a 90 percent  
13 capacity utilization rate. These changes in the industry  
14 have happened because of the large capital investment  
15 requirements and the high operating costs that refiners are  
16 faced with today.

17 The only way refiners, large and small, can be  
18 economically viable is to operate at heir optimal capacity  
19 utilization.

20 The diesel fuel regulation adopted in 1988, could  
21 not have anticipated these changes; and, therefore, these  
22 changes were not given consideration when the regulation was  
23 adopted. Powerine and other small refiners have been  
24 meeting with the CARB staff for the past year to ask them to  
25 consider changing the regulation to allow the small refiners

1 to have an exempt volume based on each refiner's diesel  
2 production capacity when it is operating at its optimal  
3 capacity utilization rate.

4 To restrict Powerine and the other small refiners  
5 to historical diesel production in a period when these  
6 refineries were operating at 20 to 30 percent below their  
7 optimal rate, would cause our refineries to operate  
8 uneconomically, which has the very real potential of closing  
9 our businesses.

10 At a time when California is trying to recover  
11 from a very deep recession, the loss of these small refiners  
12 to the economy would be significant. Powerine alone employs  
13 over 400 people in its refinery operation, plus another  
14 hundred contractor personnel. And the loss of these jobs in  
15 Southern California would be a significant loss to the  
16 economy.

17 The facility that Powerine constructed in 1993 to  
18 produce a lower aromatic diesel fuel, contrary to what you  
19 heard from some of the larger refiner representatives here,  
20 required an investment of our company of over \$7 million.  
21 Our diesel fuel processing unit can only produce a 20  
22 aromatic volume percent diesel fuel at the present time. We  
23 are not in a position to make more investment in our diesel  
24 manufacturing facilities to produce a lower aromatic diesel  
25 fuel, because all of our resources at this time are

1 committed to producing reformulated gasoline to come into  
2 compliance with process safety management, the RECLAIM  
3 regulations in Southern California, and a lot of other  
4 compliance projects that have to be met because of agency  
5 rule changes in our industry.

6           If we cannot sell our diesel fuel in California,  
7 we will have to reduce our production or capacity  
8 utilization. We do not have the opportunity to move our  
9 diesel fuel into other marketplaces outside of California.  
10 We do not have a retail marketing network, which would allow  
11 us to sell our diesel fuel, even though it meets EPA quality  
12 specifications, in the surrounding states.

13           We don't have the capability to export our diesel  
14 fuel to markets outside of the region. Whatever diesel fuel  
15 we manufacture will have to be sold in the California  
16 marketplace.

17           If our operation is restricted in its CARB diesel  
18 fuel production to the volume contained in the current  
19 regulation, the company would have to reduce its production  
20 to the volume contained in the regulation, and the  
21 production of the overall refinery would be significantly  
22 affected to the point that our operation would not longer be  
23 economically viable.

24           Over the past year, we have provided the CARB  
25 staff information on our operating costs, our capital

1 investments, our capacity utilization, or historical diesel  
2 fuel production in order to convince the staff that a  
3 different methodology for determining the exempt volume is  
4 more appropriate than the provisions in the current  
5 regulation.

6 The proposals before the Board today certainly go  
7 a long way toward achieving what Powerine believes is a fair  
8 and equitable change to the regulation. I do want the Board  
9 to know, however, that these changes will still have a  
10 restriction effect on Powerine's operation and cause us some  
11 economic penalty. We would have liked to have seen a higher  
12 capacity utilization factor than the one that is proposed.

13 Recently, our sales of CARB diesel have averaged  
14 over 13,000 barrels a day during periods when the market was  
15 not being -- the demand on the marketplace was not being met  
16 by the production capability of the industry. Under the  
17 CARB proposals today, our exempt volume will be reduced to a  
18 very much lower volume than what our production capacity has  
19 been during the past year. So, there will be an economic  
20 penalty to our company.

21 However, Powerine does support these amendments,  
22 since they are certainly an improvement over the current  
23 situation for the company, and they will afford our company  
24 an opportunity to remain competitive and economically viable  
25 as a California small refining company.

1           The increase in volume being proposed for the  
2 exempt volume of diesel fuel for Powerine and the other  
3 small refiners does not provide us with any kind of a  
4 competitive edge compared to the larger refining companies.

5           We're not guaranteed any market share. We're  
6 simply afforded an opportunity to compete in the California  
7 marketplace, and nothing is being changed as far as that  
8 competition is concerned.

9           We, as a small refinery, continue to have to deal  
10 with the economy of scale effect that occurs in our  
11 industry. As a small refinery, we are always investing on a  
12 per barrel basis, and our operating costs are much higher on  
13 a per barrel basis than the costs for the larger refining  
14 company.

15           For these reasons, granting us a higher exempt  
16 volume by adopting these proposals does not give us a  
17 competitive edge compared to the larger refining companies.  
18 It simply gives us an opportunity to remain competitive and  
19 economically viable in the California marketplace.

20           One last point that I know has been raised by some  
21 of the larger refining company representatives here today,  
22 Powerine is in a position today to produce a 20 percent  
23 aromatic diesel fuel, and we will be producing a 20 percent  
24 aromatic diesel fuel on October 1, 1994.

25           Thank you for the opportunity to make this

1 presentation to you today.

2 CHAIRWOMAN SCHAFER: Thank you very much, Mr.  
3 Gualtieri.

4 Are there questions from Board members for Mr.  
5 Gualtieri? If not, thank you very much for your patience in  
6 appearing so late in the day.

7 I also understand Evelyn Parker-Gibson of CIOMA is  
8 here to make a presentation. Would you like to come forward  
9 now?

10 MS. PARKER-GIBSON: Thank you very much for the  
11 opportunity to comment on the proposed amendments to the  
12 small refiner volume limits for protection of diesel fuel.

13 My name is Evelyn Gibson, and I'm the regulatory  
14 affairs director for the California Independent Oil  
15 Marketers, CIOMA is probably how you've heard of us most  
16 often.

17 CIOMA represents approximately 500 petroleum  
18 distributors who operate throughout the State. Diesel's an  
19 extremely important part of their businesses. Most of them  
20 sell to commercial, agricultural, or governmental users of  
21 diesel fuel.

22 And Mr. Jeffries, who spoke earlier today, is one  
23 of our members. He gave you a pretty accurate picture of  
24 what they do.

25 Given the importance of this product to our

1 members, CIOMA has an intense concern about sufficient  
2 supplies of diesel being available when and where they're  
3 needed.

4 To have a sufficient supply, we believe that oil  
5 refiners who are currently producing diesel in the  
6 California market must continue to produce it. Furthermore,  
7 they must produce diesel in the quantities that they're  
8 currently producing. Without all of these suppliers  
9 producing at the capacity -- at that capacity, supply and  
10 distribution problems are inevitable. They may not happen  
11 all at once. They might not happen in the predictable way,  
12 but they will happen periodically.

13 The critical question we think today that you need  
14 to address is how concentrated do you want the diesel supply  
15 in the California market to become?

16 The small refiners who are the subject of these  
17 proposed amendments are a key part of the supply picture.  
18 Without their presence, our members would not be able to  
19 supply all of their customers' diesel demands. Certainly,  
20 the large and independent refiners produce a substantial and  
21 needed quantity of the State's diesel supply, but small  
22 refiners frequently are the marketers' only source for  
23 diesel in some of the rural regions of the State and when  
24 disruptions occur at the larger refineries and force a stop  
25 in production.

1           And I think what Mr. Jeffries referred to earlier  
2 today is a good example. During the diesel crisis, when he  
3 went to Texaco to get his unbranded supply, he wasn't able  
4 to get it. So, he had to go to Kern and get more. And as  
5 Mr. Lingle also alluded to, many of the San Joaquin  
6 independent marketers ended up driving to Los Angeles or all  
7 the way to Sacramento just to pick up fuel and ship it back  
8 down to the San Joaquin Valley in order to fill the needs of  
9 those customers.

10           We have only to look at the introduction of the  
11 low aromatic diesel regulation in October, 1993, to see how  
12 fragile the balance between diesel supply and demand is, and  
13 to realize how important these small refiners are to  
14 ensuring adequate supply or in filling gaps between supply  
15 and demand in emergency situations.

16           We support the proposed amendments that will  
17 enable these small refiners to continue making quantities of  
18 diesel above the original limit.

19           CIOMA is very much concerned that either -- that  
20 the proposed amendments still will, however, force small  
21 marketers to make production choices that will take needed  
22 gallons out of California and move them to other states, or  
23 that will force them to shut down entirely.

24           Therefore, we're urging the California Air  
25 Resources Board to allow these small refiners to produce up



1 to a 95 percent utilization rate, which I think is somewhere  
2 equivalent to that 25,000 barrels per day figure that we've  
3 been talking about all day. My figures could be wrong on  
4 that.

5 It is important to note that, since the adoption  
6 of the regulations, as we've also talked at length about,  
7 we've lost 10 small refiners here in California. And that  
8 loss has been substantial.

9 Our marketers have relationships with many  
10 different kinds of suppliers. And when one of them goes  
11 out, it's often some period of time before they can develop  
12 another relationship with another supplier to take their  
13 place and to get the fuel that they need to serve their  
14 customers on an expedient basis.

15 These regulations were not adopted with the intent  
16 of concentrating refining to only a handful of large and  
17 independent refiners, with a few small refiners remaining.  
18 But that has been the inadvertent result.

19 California can't afford further concentration of  
20 petroleum refining and continue to have an adequate balance  
21 between supply and demand. We must acknowledge the  
22 investments that these remaining small refiners have made to  
23 make cleaner fuels, efforts that they have made at great  
24 cost and a substantial business risk, and allow them to  
25 remain competitive by making 25,000 barrels per day or that

1 95 percent utilization rate, whichever is the most  
2 appropriate figure to cite.

3           There is also another issue that hasn't really  
4 been discussed very much today that will affect supply and  
5 that we're very much concerned about. When production of  
6 reformulated gasoline begins, large and independent refiners  
7 may be forced to choose production of gasoline over  
8 production of diesel. For large refiners in particular,  
9 diesel production has traditionally been a byproduct of  
10 gasoline production.

11           The refining process for diesel has become more  
12 complex with the implementation of the low aromatic diesel  
13 regulation. And it now competes with gasoline for some  
14 refinery processes.

15           As gasoline production also becomes more complex  
16 under the reformulated gasoline regulations, some refiners  
17 may reduce their diesel production levels in order to make  
18 the amounts of gasoline they really have to make.

19           This is a forced choice between -- this forced  
20 choice between making gasoline or diesel will affect the  
21 remaining independent refiner. We also consider Tosco --  
22 even though they're now really sort of acting as a large  
23 refiner, they also are an independent refiner of sorts. And  
24 they, too, will be forced to make this kind of decision --  
25 gasoline or diesel -- which is the product they can best

1 afford to make?

2           Since both of these independent refiners have a  
3 retail -- have retail branded gasoline stations that they  
4 must supply with gasoline, they will have to devote some  
5 refinery capacity -- not significant refinery capacity -- to  
6 making gasoline.

7           This gasoline production could come at the  
8 sacrifice of diesel production. And if you remember from  
9 October, these two independents were often the fill-in  
10 factor. They were the two who would make the gallonage of  
11 diesel that needed -- was needed to keep the supply and  
12 demand balanced.

13           Without them making sufficient supplies of diesel,  
14 if they choose to make more gasoline because of their  
15 refinery configuration, then you only have the small  
16 refiners left to fill the diesel demand. And that's a  
17 really critical thing that you need to weigh.

18           This is not a stagnant regulation, just a single  
19 thing that you're doing. This is one of a whole spectrum of  
20 regulations that you're doing to affect how fuel is made in  
21 California. And it will certainly have a big impact on the  
22 industry overall.

23           Again, we need these small refiners who primarily  
24 make only distillate products, mostly diesel, to remain  
25 operational at their highest capacity to keep diesel

1 supplies and prices stable.

2           The variances that were issues during the  
3 emergency shortages of the last -- last fall may not work if  
4 you don't have the small refiners here, and if the other  
5 refineries, who are producing both gasoline and diesel, are  
6 forced to make decisions where they focus more on gasoline  
7 rather than gasoline and diesel production at the same time.

8           Undoubtedly, the first comment or question -- and  
9 we've heard it ad nauseam today -- is the fairness issue and  
10 whether or not you're giving the small refiners some kind of  
11 an unfair advantage.

12           CIOMA challenges any of the refiners in this room  
13 to say that they suffered last October or during the entire  
14 fall. I don't think any of them can claim that they  
15 actually had a bad period of return on their investment  
16 during that shortage of fuel when prices went very high.

17           Even when the small refiners were producing 32,000  
18 barrels a day of diesel and whatever other distillate  
19 products they make, large and independent refiners increased  
20 their market share to the point where at times they turned  
21 away unbranded marketers, even though those marketers had  
22 long-term supply contracts -- or not exactly contracts, but  
23 relationships with those refiners.

24           If these small refiners have an increased market  
25 share at this point, it is the result of increased demand or

1 absorption of the market share held by the small refiners  
2 that are no longer producing fuel. These refiners have not  
3 taken market share away from the other large and independent  
4 refiners here in California and would not if they were  
5 allowed to continue making a 95 percent utilization rate.

6 The other issue that's been addressed at length is  
7 the public health impact. CIOMA believes that allowing  
8 these small refiners to make both increased barrels of  
9 diesel and other distillate products will not compromise the  
10 public health benefits of the low aromatic diesel  
11 regulation.

12 The original limits set for small refiners allowed  
13 approximately 33,000 barrels per day. I think my figures  
14 are off, given what Mr. Simeroth said. But at any rate,  
15 what they're asking for is no different than what that  
16 segment of the industry would have been making had those  
17 other 10 refineries, small independent refineries, remained  
18 in production.

19 At this time, CIOMA believes that the economic  
20 impact of limiting small refiners to production levels that  
21 will force them to either sell substantial amounts of diesel  
22 out of state or to even cease production entirely outweighs  
23 the minimal public health impact of allowing these increased  
24 production levels of 20 percent aromatic diesel.

25 And I would like to sort of echo Mr. Lagarias'

1 comment about the alternative formulas that many of the  
2 large refiners are making now -- some of those, we  
3 understand, are above the 20 percent aromatic limit. So,  
4 there is some question about whether they're actually at a  
5 same level as some of these small refiners would be once  
6 they start making the 20 percent aromatic diesel.

7           There are a couple of other points. Some of the  
8 other speakers brought up the fact that this October is not  
9 last October. Well, it isn't. They are different  
10 situations. But all of the factors that were present to  
11 create a shortage last year could also be present this year.  
12 First of all, with regard to inventory levels, I think, if  
13 you will recall, most of the large refiners assured you that  
14 they had plenty of inventory in October, '93.

15           We continued to question whether or not those  
16 inventory levels were going to be sufficient to meet the  
17 demand, especially given all of the things that were  
18 happening in October.

19           When push came to shove and October finally rolled  
20 around, because of turnarounds or whatever factors there  
21 were, those inventory levels were not sufficient to carry on  
22 filling the demand during the period of that introduction of  
23 the low aromatic regulation.

24           I don't think you can depend on inventory right  
25 now. It's like taking a snapshot of the market at this

1 moment and saying, okay, what works right now is going to  
2 work for the next 10 months. That's not necessarily true.  
3 There's a lot of change. Reformulated gas regulations alone  
4 are a major change and will shift many aspects of the entire  
5 fuel market -- that includes production, product mix,  
6 distribution, and storage, and definitely, supply.

7 So, you need to think about what's coming up down  
8 the road, both from EPA and from CARB, and when those things  
9 will start before you determine that the picture today looks  
10 great; you've got enough inventory to take care of the  
11 demand.

12 Secondly, one of the speakers referred to  
13 withdrawal of refiners from certain markets. If you see  
14 small refiners withdrawing from various markets -- and in  
15 Mr. Lingle's case where he's fueling the Imperial Valley is  
16 a good case. That's an area where there aren't a lot of  
17 suppliers down there. And if you have one pull out, it will  
18 make a significant difference.

19 Small refiners very easily, as you've just been  
20 told, could go out of business simply because they can't  
21 afford to produce at half ration. They have to go full  
22 force or they either close, or they send their product out  
23 of state and take it out of the California distribution.

24 Secondly -- or another point that was brought up  
25 was redistribution at terminals. Some terminals -- large

1 refiners decided not to continue to offer fuel at during  
2 October, '93. We don't have any assurance at this point  
3 that they're not going to do the same thing. As I said,  
4 reformulated gas sort of shifts everything. It affects  
5 capacity, it affects the pipelines and whether or not they  
6 can actually handle all these products.

7           And there may be some decisions made by some  
8 refiners where they will decide only to offer reformulated  
9 gas rather than diesel at certain terminals.

10           So, we don't now for sure at this point that there  
11 will be all of the people at all of the terminals that they  
12 currently are.

13           Thirdly, they referred to excise tax increase and  
14 other things that were going on. There is an excise tax  
15 increase that's coming. It's not coming this October, but  
16 it's coming in January -- sorry, July 1, 1995, if Senate  
17 Bill 840 passes. And that is a State excise tax.

18           So, again, you're going to have some disruption,  
19 maybe not this year, but it could very well be in 1995. And  
20 if you don't have all of your suppliers there, you're going  
21 to have problems.

22           Also, this year, in October, there will be a  
23 change in the EPA/IRS dyeing requirement, so there could be  
24 some confusion in some discomfort in the market during that  
25 transition. Although it is a softer transition than just a



1 drop-dead date.

2 (Laughter.)

3 MS. PARKER-GIBSON: And, lastly, you still have  
4 apprehensive consumers, both consumers at our end of the  
5 market and consumers who are our customers. Nobody's really  
6 sure what's going to happen with reformulated gas, and with  
7 diesel, and with all of the changes that are going on both  
8 on a federal level and a state level.

9 I don't think you can be assured that the way the  
10 market looks today is going to be a sufficient picture for  
11 tomorrow.

12 That's why we're hoping that you'll take the  
13 action to keep these refiners in the mix. We need everybody  
14 who's making fuel to stay.

15 We don't need a reduction or a concentration of  
16 production of fuel.

17 Thank you very much for the opportunity to speak.

18 CHAIRWOMAN SCHAFER: Thank you very much, Ms.  
19 Parker-Gibson.

20 Are there any questions from Board members for  
21 this witness?

22 If not, I want to thank you very much for  
23 appearing again today.

24 I would like to have a short break now. We will  
25 make preparations to close the record thereafter and

1 consider a resolution. Five minutes.

2 (Thereupon, a recess was taken.)

3 CHAIRWOMAN SCHAFER: At this point, I'd like to  
4 ask the staff, for the record, to summarize those written  
5 comments that the Board may have received by individuals,  
6 but who were unable to testify at this hearing.

7 Were there any in that category?

8 MR. FRIESEN: There are two letters that we need  
9 to enter into the record. The first is from the Exxon  
10 Company, requesting the Board reject both the staff's  
11 proposal in the staff report as well as the staff's modified  
12 proposal, indicating that both proposals would substantially  
13 increase emissions of NOx and particulate matter, and that  
14 they are counter to the Board's charge to reduce motor  
15 vehicle emissions and improve air quality.

16 And denying the proposed amendments would return  
17 the small refiners to the volume limits established by the  
18 original regulation and correct the economic distortion  
19 created by the executive order.

20 In summary, they propose the amendments may also  
21 undermine the Board's desire for a smooth implementation of  
22 the upcoming Phase 2 gasoline requirements.

23 The other letter that needs to be entered into the  
24 record is from the California Trucking Association. They  
25 are in support of the small refiners' proposal to increase

1 the amount of diesel fuel subject to the 20 percent aromatic  
2 hydrocarbon content limit. And they feel that small  
3 refiners would ensure price stability and adequate regional  
4 supplies.

5 CHAIRWOMAN SCHAFFER: You want to get a little  
6 closer to the microphone?

7 MR. FRIESEN: Yes.

8 CHAIRWOMAN SCHAFFER: And slow down the rpm a  
9 little.

10 MR. FRIESEN: All right. The California Trucking  
11 Association feels that the four small refiners that are  
12 remaining in the market need to be able to produce at levels  
13 at the marketplace and allow the small refiners to cover  
14 their operating costs.

15 The rule currently mandates a return to operations  
16 at utilization rates they feel are too low to be competitive  
17 in today's market, and that the result to fuel users in a  
18 market dominated by two or three big producers would cause a  
19 real possibility of shortages and new price spikes and,  
20 therefore, they urge adoption of the staff proposal.

21 CHAIRWOMAN SCHAFFER: That's the California  
22 Trucking Association?

23 MR. FRIESEN: Yes, that's correct.

24 CHAIRWOMAN SCHAFFER: Thank you.

25 All right. Mr. Boyd, does the staff have any

1 further comments? Obviously, a number of complex issues  
2 have arisen here this afternoon.

3 Are there any that need to be addressed? Some  
4 that occurred to me, and I would specifically ask that you,  
5 as you handle these, to identify one or two of the legal  
6 ones that I heard raised -- one concerning CEQA and one  
7 concerning our legal authority to take into account economic  
8 concerns in these regulations.

9 MR. BOYD: Those are the very two issues that I  
10 had in mind, Madam Chair. I'd like to ask the legal staff  
11 to make some comments on both those points, if they would,  
12 please.

13 MR. KENNY: I'd be happy to respond to those.  
14 With regard to CEQA, what CEQA requires is that for any  
15 proposal that is being presented to the Board, that we  
16 identify the environmental impacts associated with that  
17 proposal.

18 In this particular situation, the staff has  
19 identified an emissions impact associated with the potential  
20 passage of this proposal. And those were the NOx and the  
21 particulate matter increases.

22 To the extent that there are environmental impacts  
23 associated with the proposal, the Board then has an  
24 obligation to look at whether or not there are any  
25 alternatives or mitigation measures which could be utilized

1 to carry out the proposal.

2           The staff has looked at whether or not there are  
3 any environmental mitigation measures or any alternatives  
4 that would carry out the intent of providing for an economic  
5 revival fueled from the small suppliers and has been unable  
6 to identify any alternatives or mitigation measures.

7           What that then requires is that the Board, if it  
8 does adopt this particular proposal, that it engage in a  
9 statement of overriding considerations, identifying in the  
10 record what those considerations are for why it's adopting  
11 this particular proposal, despite the fact that there are  
12 environmental consequences associated with it.

13           What we have done is prepared the resolution with  
14 the overriding considerations in mind. And the overriding  
15 considerations are specified in the resolution on pages 3  
16 through 5.

17           In addition to that, there was a question with  
18 regard to the Board's authority to consider the effects on  
19 the economy of this State of any adoption of a regulation.

20           The Health & Safety Code specifically provides for  
21 fuel regulations, in fact, that the economy of the State is  
22 to be considered in the adoption of regulations. And that  
23 is found at Section 43013 of the Health & Safety Code.

24           CHAIRWOMAN SCHAFFER: Thank you very much.

25           Mr. Boyd, are there any other comments that the

1 staff believes might be helpful to the Board as we consider  
2 this resolution?

3 MR. BOYD: I have just -- a lot's been said today,  
4 and I don't want to take advantage of the Board or the  
5 audience to say much more. But one point I do want to make  
6 for the entire audience -- I know the Board has heard this  
7 many times from me before, and I know how they feel.

8 There's a lot of concerns about the State and the  
9 status of the economy of California. And I want the members  
10 of the audience to rest assured that the staff is as  
11 concerned as are they, all of them, about the status of the  
12 California economy.

13 Our charge is protecting the public's health, and  
14 we also are to be concerned with the economy. And there's  
15 nobody who recognizes more than we do, some of us who've  
16 been here a long time, the importance of a strong, healthy  
17 economy in this State. A strong, healthy economy equals and  
18 yields a strong and healthy environmental program. And  
19 without one, you don't have the other.

20 And so, we, in no way, are looking to put the  
21 majors, or the small, or the independent refiners in harm's  
22 way any more than we'd want to put our own organization in  
23 harm's way.

24 Again, as indicated yesterday, we try to weave our  
25 way down the middle and find the best we can get in terms of

1 striving to meeting the public health goals of the State,  
2 while assuring that there's an economy here and surviving to  
3 provide the engine that we need.

4 And, as the economy grows, we do better, and we  
5 want it to survive.

6 And all the parts of that giant engine --  
7 agriculture, construction, the refinery, the oil businesses,  
8 the small independents, et cetera, they're all part of that  
9 huge complex that has to survive. And the recommendation  
10 we've made to you, as you can see, doesn't seem in the eyes  
11 of anybody to meet particular needs. It doesn't go far  
12 enough as far as some are concerned, and it certainly goes  
13 two far as far as others are concerned.

14 I don't want to use the old trite statement about  
15 nobody likes it, so it must be right, but I would recommend  
16 the staff recommendation still, after even hearing  
17 everything today, as the best course we see available under  
18 the given situation.

19 And recognizing in 1988, the Board did make a  
20 policy decision relative to a differential between small  
21 refiners and large refiners and, even at that point in time,  
22 made the decision in recognition of the fact that this 20  
23 percent was in perpetuity.

24 I know that's a concern to many people. And  
25 certainly, it's the prerogative of the Board to address,

1 readdress that, or what have you. But in that context,  
2 we've given you a recommendation that we feel is the fairest  
3 to all concerned, while still keeping in mind the breathers  
4 of the State.

5 That concludes my comments.

6 CHAIRWOMAN SCHAFFER: Thank you very much, Mr.  
7 Boyd.

8 At this point, I would now like to close the  
9 record on this agenda item; however, note that the record  
10 will be reopened when the 15-day notice of public  
11 availability is issued. Written or oral comments received  
12 after this hearing date, but before the 15-day notice is  
13 issued will not be accepted as part of the official record  
14 on this agenda item.

15 When the record is reopened for a 15-day comment  
16 period, the public may submit written comments on the  
17 proposed changes, which will be considered and responded to  
18 in the final statement of reasons for this regulation.

19 Just a reminder, at this point, if Board members  
20 have had ex parte communications, this would be the time to  
21 put them on the record.

22 Hearing none, I believe that you have a resolution  
23 before you. Would anyone care to make a motion?

24 MR. LAGARIAS: Madam Chair?

25 CHAIRWOMAN SCHAFFER: Yes, Mr. Lagarias.



1 readdress that, or what have you. But in that context,  
2 we've given you a recommendation that we feel is the fairest  
3 to all concerned, while still keeping in mind the breathers  
4 of the State.

5 That concludes my comments.

6 CHAIRWOMAN SCHAFFER: Thank you very much, Mr.  
7 Boyd.

8 At this point, I would now like to close the  
9 record on this agenda item; however, note that the record  
10 will be reopened when the 15-day notice of public  
11 availability is issued. Written or oral comments received  
12 after this hearing date, but before the 15-day notice is  
13 issued will not be accepted as part of the official record  
14 on this agenda item.

15 When the record is reopened for a 15-day comment  
16 period, the public may submit written comments on the  
17 proposed changes, which will be considered and responded to  
18 in the final statement of reasons for this regulation.

19 Just a reminder, at this point, if Board members  
20 have had ex parte communications, this would be the time to  
21 put them on the record.

22 Hearing none, I believe that you have a resolution  
23 before you. Would anyone care to make a motion?

24 MR. LAGARIAS: Madam Chair?

25 CHAIRWOMAN SCHAFFER: Yes, Mr. Lagarias.

1 MR. LAGARIAS: I move adoption of Resolution 94-52  
2 with a couple of comments.

3 CHAIRWOMAN SCHAFER: Do I hear a second?

4 SUPERVISOR RIORDAN: Second the motion.

5 CHAIRWOMAN SCHAFER: A motion has been made and  
6 seconded.

7 Mr. Lagarias.

8 MR. LAGARIAS: These are just generalizations.  
9 I've heard the independent producers will be meeting the  
10 deadline proposed in the resolution for achieving 20 percent  
11 compliance fuel.

12 I would request that, if any requests for  
13 variances from this, since I've heard they would meet it, do  
14 come up, that the staff makes sure that the record of this  
15 proceedings be a part of any such variance discussions.

16 And, secondly, I've heard, too, that some of the  
17 compliance fuel, the 10 percent alternative compliance fuel,  
18 does have a very high aromatic content. I would like to see  
19 the staff continue to monitor this performance. And if,  
20 indeed, it appears that a compliance fuel of higher than 20  
21 percent aromatics can be developed within the staff's  
22 estimate of reasonable performance, that at some time in the  
23 future, they come back to see if we would change that exempt  
24 fuel.

25 And, hopefully, don't bring it back before the

1 reformulated gasoline issue is on record and we have an  
2 indication of its performance.

3 CHAIRWOMAN SCHAFER: Very good. Is there any  
4 other discussion from members of the Board? Mr. Calhoun.

5 MR. CALHOUN: Yes. In connection with what Mr.  
6 Lagarias mentioned a few moments ago about the possibility  
7 of variances being sought, perhaps the record should also  
8 include a suggestion that there be a mitigation fee in the  
9 event that someone should request a variance in order to  
10 sort of expedite them getting off of the variance.

11 CHAIRWOMAN SCHAFER: Is that a feature in the  
12 current regulation, Counsel?

13 MR. KENNY: The current regulation doesn't  
14 specifically provide for a variance fee, but it does provide  
15 for other conditions as determined by the Executive Officer.

16 In the variances that were issued last year, that  
17 particular provision was used to impose variance fees on  
18 just about all of the variances that were issued by the  
19 Executive Officer.

20 MR. CALHOUN: Okay. Fine.

21 CHAIRWOMAN SCHAFER: Thank you. Any other  
22 discussion among Board members?

23 Yes, Supervisor Vagim.

24 SUPERVISOR VAGIM: Thank you, Madam Chair.

25 I just want to make sure that I have this right.

1 On page 4 in the resolution, it shows on the bottom, where,  
2 "The amendments approved herein will result in a 20 percent  
3 aromatic hydrocarbon diesel. . .lawfully supplied by  
4 refiners by approximately 24,000 barrels a day during the  
5 fourth quarter of '94 and by approximately 12,800 barrels a  
6 day starting January 1," is that in addition to the 24,700,  
7 or is that mutually exclusive figures?

8 MR. JENNINGS: That's the increase.

9 SUPERVISOR VAGIM: So, the first 24,700, then an  
10 additional twelve-eight?

11 MR. JENNINGS: The first 24,700 represents the  
12 increase over the current exempt volume levels --

13 SUPERVISOR VAGIM: Right.

14 MR. JENNINGS: -- but only for the fourth quarter  
15 of 1994.

16 SUPERVISOR VAGIM: Right. And then it goes back  
17 to twelve-eight?

18 MR. JENNINGS: Well, it goes back to a level where  
19 the increase over the existing volumes would then be 12,800.

20 SUPERVISOR VAGIM: Okay.

21 Just to wrap up my comments, if I may --

22 CHAIRWOMAN SCHAFFER: Yes, certainly. Supervisor  
23 Vagin.

24 SUPERVISOR VAGIM: -- Madam Chair.

25 I'm going to support the resolution with a couple

1 of caveat statements that I think we ought to be watching  
2 for, and that is the fact that January 1, 1996 is coming,  
3 and the independents do have to make a heavy decision, as  
4 some have testified that they may have equal problems in the  
5 diesel arena as a small manufacturer.

6 And I hope we'd be cognizant to that. Because, if  
7 indeed, they -- if they run into the same problems, I think  
8 you -- if supply is the issue, then we ought to look at the  
9 whole regime of those who have the small -- if an  
10 independent is indeed skidding toward a smaller size plant,  
11 but doesn't make a small category, I think -- I would hope  
12 we were cognizant to those issues.

13 CHAIRWOMAN SCHAFFER: Very good. Any other  
14 comments or notes from members of the Board?

15 Ms. Edgerton?

16 MS. EDGERTON: In the event -- I would just like  
17 to suggest that, in the event that this does go forward,  
18 that it would be appropriate, if we're extending these -- if  
19 we do extend these opportunities to the small refiners, that  
20 the staff look at the possibility of sunseting this at some  
21 point and reporting back to the Board.

22 Thank you.

23 CHAIRWOMAN SCHAFFER: If there are no other  
24 comments, I'd just like to make one short one. Although our  
25 main job is to be concerned about the environment and to do

1 everything that we can to improve the air quality in this  
2 State, we do have responsibilities to look at economic  
3 impacts.

4 I don't like playing God or even Adam Smith,  
5 which, in my book, is pretty close to a deity in these  
6 matters. It's not always a comfortable situation for us,  
7 because there are a number of issues involved when you try  
8 to be equitable.

9 However, I think it is our responsibility to act  
10 in a reasonable way here. I think that the staff proposal  
11 is a reasonable proposal under the current situation, and  
12 I'm prepared to support the resolution as well.

13 Will the Board Secretary please call the roll?

14 MS. LOUNSBURY: Boston?

15 DR. BOSTON: Yes.

16 MS. LOUNSBURY: Calhoun?

17 MR. CALHOUN: Yes.

18 MS. LOUNSBURY: Edgerton?

19 MS. EDGERTON: No.

20 MS. LOUNSBURY: Lagarias?

21 MR. LAGARIAS: Yes.

22 MS. LOUNSBURY: Parnell?

23 MR. PARNELL: Yes.

24 MS. LOUNSBURY: Riordan?

25 SUPERVISOR RIORDAN: Aye.

1 MS. LOUNSBURY: Vagim?

2 SUPERVISOR VAGIM: Aye.

3 MS. LOUNSBURY: Chairwoman Schafer?

4 CHAIRWOMAN SCHAFFER: Aye.

5 MS. LOUNSBURY: Resolution 94-52 passes 7-1.

6 CHAIRWOMAN SCHAFFER: Thank you very much.

7 I will note that there is a 15-day comment period  
8 for this item. And, Mr. Boyd, if there is no further  
9 business before the Board today --

10 MR. BOYD: There is no further business, Madam-  
11 Chair.

12 CHAIRWOMAN SCHAFFER: -- I will adjourn, and wish  
13 you all a good weekend.

14 (Thereupon, the meeting was adjourned  
15 at 2:15 p.m.)

16 --o0o--

17

18

19

20

21

22

23

24

25