

MEETING  
STATE OF CALIFORNIA  
AIR RESOURCES BOARD

BYRON SHER AUDITORIUM  
SECOND FLOOR  
1001 I STREET  
SACRAMENTO, CALIFORNIA 95814

THURSDAY, DECEMBER 12, 2013  
9:08 A.M.

TIFFANY C. KRAFT, CSR  
CERTIFIED SHORTHAND REPORTER  
LICENSE NUMBER 12277

APPEARANCES

BOARD MEMBERS

Ms. Mary Nichols, Chairperson

Dr. John Balmes

Ms. Sandra Berg

Mr. Hector De La Torre

Mr. John Eisenhut

Supervisor John Gioia

Mayor Pro Tem Judy Mitchell

Mrs. Barbara Riordan

Supervisor Ron Roberts

Supervisor Phil Serna

Dr. Alex Sherriffs

Dr. Daniel Sperling

STAFF

Mr. Richard Corey, Executive Officer

Mr. Alberto Ayala, Deputy Executive Officer

Ms. Edie Chang, Deputy Executive Officer

Ms. Lynn Terry, Deputy Executive Officer

Ms. Ellen Peter, Chief Counsel

Ms. La Rhonda Bowen, Ombudsman

Mr. Michael Carter, Branch Chief, Emissions Research and  
Regulatory Development Branch

Mr. Bart Croes, Chief, RD

APPEARANCES (CONTINUED)

STAFF

Ms. Sarah Pittiglio, Air Pollution Specialist, Climate Action and Research Planning Section, Research Division

Mr. Alex Santos, Air Pollution Specialist, On-Road Heavy-Duty Diesel Section, MSCD

Mr. Alexander Wang, Senior Attorney, Office of Legal Affairs

ALSO PRESENT

Mr. Don Anair, Union of Concerned Scientists

Ms. Diane Bailey, NRDC

Mr. Will Barrett, American Lung Association

Mr. Timothy Blubaugh, Truck and Engine Manufacturers Association

Mr. Tim Carmichael, CNGVC

Mr. Henry Hogo, South Coast AQMD

Mr. Brian Johnston

Ms. Jerilyn Lopez Mendoza, Southern California Gas Company

Mr. Bill Magavern, Coalition for Clean Air

Ms. Adrian Martinez, Earth Justice

Mr. Chris Mertens, CALSTART

Ms. Tracey Norberg, Rubber Manufacturers of Emission Control Association

Mr. Jeff Shaffer, Volvo Group Trucks

Mr. James Thomas, Nabors Completion & Production

APPEARANCES (CONTINUED)

ALSO PRESENT

Mr. Mike Tunnell, American Trucking Association

Mr. Doug Van Allen, Baker Hughes Oilfield Services, Inc.

Mr. John White, CEERT

Mr. Chris Wortman

INDEX

	<u>PAGE</u>
Consent Items	
13-11-5	
Motion	3
Vote	3
Item 13-11-1	
Chairperson Nichols	3
Executive Officer Corey	4
Staff Presentation	5
Mr. Hogo	30
Mr. Wortman	31
Mr. Thomas	35
Mr. Van Allen	38
Ms. Lopez Mendoza	40
Mr. Blubaugh	42
Mr. Johnston	45
Mr. Kubsh	47
Mr. Kubsh	48
Mr. Shaffer	51
Mr. Martinez	54
Mr. Anair	56
Ms. Bailey	58
Mr. Barrett	61
Mr. Mertens	62
Mr. Carmichael	63
Mr. Tunnell	65
Mr. Magavern	67
Resolution 13-50	
Motion	78
Vote	88
Resolution 13-51	
Motion	79
Vote	82
Resolution 13-52	
Motion	83
Vote	87
Resolution 13-53	
Motion	90
Vote	96
Resolution 13-54	
Motion	96
Vote	96

INDEX (CONTINUED)

	<u>PAGE</u>
Item 13-11-3	
Chairperson Nichols	97
Executive Officer Corey	97
Staff Presentation	98
Ms. Lopez Mendoza	123
Mr. Tunnell	125
Motion	127
Vote	128
Public Comment	
Mr. White	129
Adjournment	133
Reporter's Certificate	134

PROCEEDINGS

1  
2 CHAIRPERSON NICHOLS: Good morning, everybody.  
3 Welcome to the December 12th public meeting of the Air  
4 Resources Board. We will begin with the Pledge of  
5 Allegiance and then do the roll call.

6 (Thereupon the Pledge of Allegiance was  
7 Recited in unison.)

8 CHAIRPERSON NICHOLS: Madam Clerk, please call  
9 the roll.

10 BOARD CLERK JENSEN: Dr. Balmes?

11 BOARD MEMBER BALMES: Here.

12 BOARD CLERK JENSEN: Ms. Berg?

13 BOARD MEMBER BERG: Here.

14 BOARD CLERK JENSEN: Mr. De La Torre?  
15 Mr. Eisenhut?

16 BOARD MEMBER EISENHUT: Here.

17 BOARD CLERK JENSEN: Supervisor Gioia?

18 BOARD MEMBER GIOIA: Here.

19 BOARD CLERK JENSEN: Mayor Pro Tem Mitchell?

20 BOARD MEMBER MITCHELL: Here.

21 BOARD CLERK JENSEN: Mrs. Riordan?

22 CHAIRPERSON NICHOLS: Here.

23 BOARD CLERK JENSEN: Supervisor Roberts?

24 BOARD MEMBER ROBERTS: Here.

25 BOARD CLERK JENSEN: Supervisor Serna?

1 BOARD MEMBER SERNA: Here.

2 BOARD CLERK JENSEN: Dr. Sherriffs?

3 BOARD MEMBER SHERRIFFS: Here.

4 BOARD CLERK JENSEN: Professor Sperling?

5 BOARD MEMBER SPERLING: Here.

6 BOARD CLERK JENSEN: Chairman Nichols?

7 CHAIRPERSON NICHOLS: Here.

8 BOARD CLERK JENSEN: Madam Chairman, we have a  
9 quorum.

10 CHAIRPERSON NICHOLS: Thank you, everybody. This  
11 is a light agenda, but we have an couple important pieces  
12 of business that we need to take care of.

13 The first one is actually on the consent  
14 calendar.

15 I think I skipped our mandatory announcement  
16 about where the exits are. So I'm required to stop here  
17 for a minute and remind everybody that there are exits at  
18 the rear of the room and on either side of the stage. And  
19 in the event of an alarm going off, we're supposed to  
20 leave immediately and assemble outside the building.

21 Also to tell you that we will use our normal  
22 three-minute time limit for speakers and that we ask  
23 people to fill out a card in advance if they want to  
24 testify, with your name. If you have written testimony,  
25 you're not required to read it, because it will



1 automatically be in the record there. I think I've done  
2 that.

3 Okay. So we have one item on our consent  
4 calendar this morning, which is the appointment of a new  
5 member to the Research Screening Committee. This is a  
6 Committee that works very hard and does terrific work for  
7 us in developing our Research Plan and putting out  
8 requests for proposals and screening the proposals. We've  
9 had a vacancy now for a while. And fortunately, we have a  
10 very good candidate, Dr. Yifang Zhu, who is joining us.

11 So is there anybody who wishes to see this taken  
12 off the consent calendar? Did anybody sign up to speak on  
13 this item? If not, I guess what we do is just move the  
14 consent calendar; is that correct? Yes. Do I have a  
15 motion?

16 BOARD MEMBER BALMES: So moved.

17 BOARD MEMBER RIORDAN: Second.

18 CHAIRPERSON NICHOLS: All right. All in favor  
19 please say aye.

20 (Ayes)

21 CHAIRPERSON NICHOLS: Any nos? Any abstentions?  
22 Great. All right.

23 We then move to the Agenda Item 13-11-1. This  
24 relates to our greenhouse gas and NOx reduction programs  
25 and the discussion about an optional NOx emissions

1 standard for heavy-duty engines that will pave the way for  
2 even cleaner trucks to travel on California's roads within  
3 the next few years.

4 The agenda item also includes amendments to other  
5 related on-road truck regulations, all designed to reduce  
6 truck emissions and facilitate the deployment of advanced  
7 technology vehicles. So it's a package of proposals, but  
8 we will be acting on them individually.

9 I think at this point I will turn this over to  
10 our Executive Officer who returned approximately 24 hours  
11 ago from a very fast trip to China and is looking quite  
12 awake actually. We are impressed. Good morning.

13 DEPUTY EXECUTIVE OFFICER COREY: Caffeine is  
14 amazing stuff. Very good. Thank you, Chairman Nichols.

15 The five related on-road truck items are new  
16 regulations and regulatory amendments intended to help  
17 usher in future generations of lower-emitting trucks and  
18 improve the enforceability of existing measures.

19 As Chairman Nichols described, the first of the  
20 five items is the new Phase I GHG standard.

21 The second item involves amendments necessary to  
22 harmonize ARB's existing tractor-trailer GHG regulation  
23 with the Phase I GHG standards. The tractor-trailer GHG  
24 regulation was an AB 32 discrete early action measure, in  
25 fact.

1           In addition to the GHG related items and as the  
2 Chair mentioned, staff's package includes new optional NOx  
3 emission standards for heavy-duty engines. These new  
4 optional standards are intended to encourage the  
5 development of lower NOx engines.

6           The package also includes amendments to ARB's  
7 diesel idling regulation and amendments to ARB's  
8 procedures for certifying heavy-duty hybrid vehicles.

9           All in all, today's proposal continues ARB's  
10 direction on trucks that are lower emitting both for  
11 criteria and GHG emissions.

12           Alex Santos of the Emissions Research and  
13 Regulatory Development Branch will provide staff's  
14 proposal for the new and amendments to the truck-related  
15 items. Alex.

16           (Thereupon an overhead presentation was  
17 presented as follows.)

18           AIR POLLUTION SPECIALIST SANTOS: Thank you, Mr.  
19 Corey. And good morning, Chairman Nichols and members of  
20 the Board.

21           As you know, the Air Resources Board has in place  
22 a comprehensive regulatory program that significantly  
23 reduce not only criteria pollutants from new and existing  
24 trucks and buses, but also greenhouse gas or GHG emissions  
25 from many of the long haul trucks operating throughout the

1 state.

2 Today, we are proposing that the Board approve  
3 several new regulations and regulatory amendments that are  
4 all related to on-road medium and heavy-duty vehicles and  
5 are designed to further reduce both GHG emissions and  
6 oxides of nitrogen, or NOx emissions.

7 Also, I would like to clarify that none of the  
8 regulations or amendments you will be considering today  
9 are related to the truck and bus regulation. Over the  
10 last several months, staff has been discussing proposed  
11 amendments to that regulation with stakeholders and over  
12 the last several weeks has been conducting public  
13 workshops throughout the state. Staff remains on track to  
14 bring proposed amendments to the Board in April of 2014.

15 --oOo--

16 AIR POLLUTION SPECIALIST SANTOS: After a brief  
17 introduction, I will first discuss staff's proposal to  
18 adopt new Phase I GHG emissions standards for medium and  
19 heavy-duty vehicles and engines. This proposal will align  
20 California's standards with U.S. EPA's and will ensure a  
21 single national program for heavy-duty GHG vehicles and  
22 engines.

23 Second, I will present staff's proposed  
24 amendments to ARB's existing tractor-trailer regulation.

25 Next, I'll present proposed new optional NOx

1 standards for heavy-duty engines, followed by proposed  
2 amendments to our existing air toxic control measure to  
3 limit idling. This will then be followed by proposed  
4 updates to the certification procedures for heavy-duty  
5 hybrid vehicles.

6 Next, I'll provide an overview of our future  
7 plans for further reducing GHG and NOx emissions from  
8 on-road trucks through the development of Phase 2  
9 standards.

10 And finally, I will conclude with staff's  
11 recommendations.

12 --o0o--

13 AIR POLLUTION SPECIALIST SANTOS: The Air  
14 Resources Board has a long history of establishing  
15 emission standards for motor vehicles. The adopted  
16 standards for 2010 and subsequent model year heavy-duty  
17 diesel engines reduced the 2004 emission levels by 90  
18 percent for both NOx and particulate matter. These  
19 emissions standards force manufacturers to install exhaust  
20 aftertreatment devices, much like catalysts were  
21 introduced to gasoline passenger cars in the 1970s.

22 Diesel particulate filters were installed to  
23 reduce particulate matter emissions and selective catalyst  
24 regeneration or SCR systems were installed to reduce NOx.  
25 California's in-use programs, such as the truck and bus

1 regulation, are already accelerating turn over to trucks  
2 that meet the 2010 standards in many areas of the state.

3 --o0o--

4 AIR POLLUTION SPECIALIST SANTOS: In large part,  
5 all five proposals being considered today are being driven  
6 by aggressive GHG and NOx emission reduction goals  
7 established at both the State and federal level.

8 For GHG emissions, Assembly Bill 32 requires  
9 California to reduce GHG emissions down to 1990 levels by  
10 2020. Further, the Governor's Executive Order directed  
11 that GHG emissions levels be reduced to 80 percent below  
12 1990 levels by 2050. Heavy-duty trucks, buses, and  
13 motorhomes are a significant source of GHG emissions,  
14 responsible for about eight percent of the GHG emissions  
15 in California.

16 For NOx emissions, meeting the U.S. EPA's ozone  
17 standards by 2023 and 2032 remains a challenge. This is  
18 particularly critical in the South Coast and San Joaquin  
19 Valley air basins, the two regions in California with the  
20 worst air quality. In order for them to meet the federal  
21 ozone standards, an almost 90 percent further reduction in  
22 NOx is needed from today's levels. Currently, heavy-duty  
23 trucks emit about 30 percent of the mobile source NOx  
24 emissions in California.

25 Clearly, reducing GHG and NOx emissions from

1 heavy-duty trucks is critical if we are to meet these  
2 targets.

3 --o0o--

4 AIR POLLUTION SPECIALIST SANTOS: Although  
5 today's heavy-duty trucks are significantly cleaner than  
6 those of a decade ago, to meet the targets I spoke of on  
7 the previous slide, the next generation of trucks must be  
8 even lower emitting. This will require further  
9 improvements in both engine and vehicle design.

10 Engines must become more fuel efficient, and  
11 trucks, tractors, and trailers must be made lighter and  
12 more aerodynamic. The fleet will need to contain a mix of  
13 vehicle types, including zero emission, hybrid, and  
14 extremely clean conventional gas and diesel engines.

15 The use of low carbon fuels will also play an  
16 essential role, as will tailoring engine and vehicle  
17 designs to optimize efficiency in specific applications.

18 Finally, we'll need to ensure our standards for  
19 new vehicles and engines and our in-use programs are  
20 vigorously and successfully enforced.

21 --o0o--

22 AIR POLLUTION SPECIALIST SANTOS: Today's  
23 proposal is the next step toward future generations of  
24 cleaner more efficient trucks. It establishes California  
25 GHG standards identical to the existing federal standards,

1 creates optional NOx certification provisions designed to  
2 promote innovation and early emission reductions, and  
3 ensures test procedures are applicable to emerging hybrid  
4 technologies and it enhances enforcement and  
5 implementation of existing standards.

6 And as you will hear later in my presentation,  
7 today's action is only the first step in putting  
8 California on a path towards the deployment of the next  
9 generation of advanced trucks that will be needed to meet  
10 the State's long-term air quality, health, and climate  
11 goals.

12 I will now discuss the first element of staff's  
13 proposal.

14 --o0o--

15 AIR POLLUTION SPECIALIST SANTOS: The first  
16 regulatory proposal involves new GHG emission standards  
17 for medium- and heavy-duty vehicles. They are referred to  
18 as Phase I emission standards because U.S. EPA is already  
19 committed to establishing a second phase of GHG standards,  
20 which I'll discuss towards the end of my presentation.  
21 The new GHG Phase I emission standards being proposed  
22 today are identical to the U.S. EPA's Phase I standards  
23 with a few minor distinctions that I will also highlight  
24 as part of my presentation.

25 --o0o--



1           AIR POLLUTION SPECIALIST SANTOS: U.S. EPA's  
2 Phase I regulation was adopted in 2011 and established GHG  
3 emission standards for medium- and heavy-duty engines and  
4 vehicles. The GHG standards were established based on the  
5 use of existing off-the-shelf GHG emission reduction  
6 technologies for three distinct categories of vehicles:  
7 Semi-tractors, vocational vehicles such as dump trucks and  
8 cement mixers, and heavy-duty pickups and vans.

9           The Phase I program is currently underway  
10 beginning with 2014 model year engines and vehicles,  
11 increasing in stringency through the 2019 model year.

12                           --o0o--

13           AIR POLLUTION SPECIALIST SANTOS: Unlike the more  
14 traditional dynamometer testing used for engine  
15 certification, U.S. EPA's Phase I emission standards also  
16 require that semi-tractors and vocational vehicles be  
17 demonstrated as compliant using the GHG emission model, or  
18 GEM. Heavy-duty pickups and vans are required to meet a  
19 combined vehicle engine or whole vehicle standard and  
20 demonstrate compliance using chassis dynamometer testing.

21           Some of the anticipated compliance strategies to  
22 meet the Phase I requirements are listed here. Many are  
23 similar to those considered when developing the clean car  
24 regulations. Technologies to improve vehicle performance  
25 include improved aerodynamics, use of low rolling

1 resistant tires, and reducing vehicle weight through the  
2 use of light weight materials. Engine improvements like  
3 turbo compounding and the use of low friction lubricants  
4 are also available in the heavy-duty engine market.

5 --o0o--

6 AIR POLLUTION SPECIALIST SANTOS: Staff's  
7 proposal involves new regulations and related amendments  
8 that would align California's GHG emissions standards and  
9 test procedures with those of U.S. EPA's, creating a  
10 nationally harmonized program.

11 Staff expects that nearly all engine and vehicle  
12 manufacturers would comply with the proposed ARB Phase I  
13 regulations by demonstrating compliance with the U.S. EPA  
14 Phase I requirements and then be considered deemed to  
15 comply with California's requirements.

16 --o0o--

17 AIR POLLUTION SPECIALIST SANTOS: Since staff's  
18 proposal is designed to harmonize with the federal  
19 program, no additional direct emission benefits are  
20 expected from staff's proposal beyond what will be gained  
21 from the federal Phase I program. However, the benefits  
22 of the federal Phase I program in California are expected  
23 to be significant. As shown here, in 2020, the Phase I  
24 program is expected to lower CO2 emissions from affected  
25 vehicles by about seven percent. By 2035, those

1 reductions will grow to 12.5 percent.

2 --o0o--

3 AIR POLLUTION SPECIALIST SANTOS: Although  
4 staff's proposal is aligned with U.S. EPA's Phase I  
5 regulation in structure and stringency, there are some  
6 minor distinctions between the two regulations.

7 First, staff is proposing to include U.S. EPA's  
8 Phase I definition of urban bus in ARB's Phase I  
9 regulation, but we propose to rename it to GHG urban bus.  
10 This difference in terminology is necessary to maintain  
11 California's existing definition of urban bus, which is  
12 slightly different than U.S. EPA's definition. This is a  
13 non-substantive revision and does not impact the  
14 stringency of the regulation, nor does it impose any  
15 additional requirements on manufacturers.

16 Because the federal program is already underway,  
17 manufacturers can generate early compliance credits before  
18 our program is implemented. Staff proposes to recognize  
19 these early compliance credits when evaluating compliance  
20 with ARB's Phase I regulation. Recognizing early credits  
21 granted by U.S. EPA would ensure that manufacturers have  
22 the same compliance flexibility in California as the  
23 federal program and that manufacturers can comply as  
24 planned with the harmonized regulations, rather than  
25 having to create a separate compliance plan for



1                   --o0o--

2                   AIR POLLUTION SPECIALIST SANTOS:   The  
3 tractor-trailer GHG regulation was originally approved by  
4 the Board in January of 2010.  It was an AB 32 discrete  
5 early action and one of the first GHG regulations that the  
6 Board approved.

7                   The regulation reduces GHG emissions from  
8 tractors pulling 53 foot or longer box type trailers by  
9 requiring both the tractor and trailers to use  
10 state-of-the-art aerodynamic technologies and low rolling  
11 resistance tire technologies, which have been evaluated  
12 and approved by the U.S. EPA SmartWay Program.

13                   --o0o--

14                   AIR POLLUTION SPECIALIST SANTOS:   The current  
15 tractor requirements of the tractor-trailer GHG  
16 regulations are shown on the slide.  The trailer  
17 requirements are not listed because they are not part of  
18 today's proposed amendments.

19                   Overall, 2011 and newer model year sleeper cab  
20 tractors are required to be SmartWay designated models,  
21 while 2011 and newer day cab tractors are required to use  
22 SmartWay verified low rolling resistance tires.  In  
23 addition, all pre-2011 model year sleeper cab and day cab  
24 tractors are required to use SmartWay verified low rolling  
25 resistance tires.

1                   --o0o--

2                   AIR POLLUTION SPECIALIST SANTOS: The proposed  
3 amendments to the tractor-trailer GHG regulation are  
4 primarily designed to harmonize its requirements with  
5 those of the proposed Phase I rule I previously discussed.  
6 The proposed amendments would sunset the requirements for  
7 2014 and newer model year tractors, since these tractors  
8 will be required to meet the GHG emission standards of the  
9 Phase I regulation.

10                  However, the requirements of the regulation that  
11 apply to the 2013 and older model year tractors will not  
12 change, as these tractors are not covered under the Phase  
13 I rule.

14                  Also, it is important to note that none of the  
15 proposed amendments impact the trailer requirements of the  
16 rule. They remain in place and unchanged.

17                  Overall, none of these amendments would result in  
18 loss of GHG benefits since the Phase I GHG emission  
19 reduction requirements are more stringent in the aggregate  
20 than the requirements in the tractor-trailer greenhouse  
21 gas regulation.

22                   --o0o--

23                  AIR POLLUTION SPECIALIST SANTOS: Along with a  
24 few minor clarifying changes, staff is also proposing to  
25 amend the definition of sleeper cab tractor to clarify

1 this a sleeper cab tractor is one that was originally  
2 manufactured with the sleeper compartment. Thus, the  
3 sleeper cab requirements would not apply, for example, to  
4 an originally manufactured day cab tractor that was later  
5 modified to be a sleeper cab. This was the original  
6 intent of the rule since preexisting tractors cannot  
7 easily be retrofitted to meet SmartWay requirements.

8 --o0o--

9 AIR POLLUTION SPECIALIST SANTOS: While staff is  
10 not proposing any changes utility trailer performance  
11 requirements of the regulation, staff is proposing two  
12 15-day changes to streamline implementation of the  
13 regulation. These proposed changes will not result in any  
14 loss of emission benefits.

15 The first 15-day change would temporarily exempt  
16 new trailers from the requirements of the regulation for  
17 three consecutive months following the month of their  
18 manufacture. This would allow the movement of  
19 non-compliant trailers during the trailer's delivery.

20 Staff also proposes to remove the requirement for  
21 owners of trailers to reapply for an extension to the  
22 trailer aerodynamic equipment compliance delay every year.  
23 Instead, once approved, the delay would remain in effect  
24 until SmartWay verified Aerodynamic technologies become  
25 available. When available, staff would notify the owner

1 to either install the technology within a specified time  
2 frame or demonstrate why the technology cannot be  
3 installed.

4 --o0o--

5 AIR POLLUTION SPECIALIST SANTOS: Now I'll  
6 discuss staff's proposal for optional heavy-duty NOx  
7 standards.

8 --o0o--

9 AIR POLLUTION SPECIALIST SANTOS: Through the  
10 adoption of increasingly more stringent NOx standards over  
11 the past 25 years, significant progress has been made  
12 towards lowering NOx emissions from on-road diesel trucks.  
13 From an emission standard of six grams per brake  
14 horsepower hour in 1990, the current emissions standard is  
15 more than 96 percent lower, at 0.2 grams per brake  
16 horsepower hour. While this is a significant  
17 accomplishment and while significant emission reductions  
18 have been achieved, there is still a need for greater  
19 emission reductions, given California's unique air quality  
20 attainment needs.

21 --o0o--

22 AIR POLLUTION SPECIALIST SANTOS: Building on  
23 this success, staff is proposing three optional NOx  
24 emission standards, 50, 75, and 90 percent more stringent  
25 than the current 0.2 grams per break horsepower hour



1 standard.

2 --oOo--

3 AIR POLLUTION SPECIALIST SANTOS: The optional  
4 low NOx emissions standard are technically feasible as  
5 many technologies exist today for reducing NOx from  
6 heavy-duty engines. In fact, certification test data  
7 shows about 8 percent of the model year 2012 engines sold  
8 already emit at levels 30 percent below the optional 0.1  
9 grams per brake horsepower hour standard. Though these  
10 low-emitting engines were predominantly gasoline fuel, a  
11 significant percentage of them was made up of diesel  
12 fueled engines.

13 Staff is confident that advances or expanded use  
14 of one or more technologies will enable manufacturers to  
15 certify to even the lowest optional NOx standard.  
16 Particularly promising technologies include stoichiometric  
17 natural gas engines using an optimized three-way catalyst  
18 and diesel engines with improved selective catalytic  
19 reduction, or SCR.

20 Factors such as cost and product diversity in the  
21 marketplace prevent staff from proposing mandatory NOx  
22 standards today. However, staff is optimistic that  
23 adoption of the optional standards will help encourage  
24 development of lower-emitting engines and lay the  
25 groundwork for lower mandatory standards in the future.

1 And to spur further development of low NOx engines,  
2 research efforts are already underway to demonstrate their  
3 feasibility, even down to the 0.02 level as discussed in  
4 the next slide.

5 --o0o--

6 AIR POLLUTION SPECIALIST SANTOS: The objective  
7 of the Southwest Research Institute project is to  
8 demonstrate the maximum NOx reduction possible from  
9 heavy-duty diesel and natural gas engines without  
10 incurring the greenhouse gas or fuel efficiency penalty.

11 Sponsored by the ARB, the target NOx emission  
12 rate for this project is 0.02 grams per brake horsepower  
13 hour, the same level as the most stringency optional NOx  
14 standard being proposed. The project should be completed  
15 by the end of 2015.

16 The National Renewable Energy Laboratory and  
17 Southwest Research Institute are also leading a study to  
18 commercialize lower NOx emissions this from heavy-duty  
19 natural gas engines. Sponsored by the South Coast AQMD,  
20 this project will test aftertreatment technologies aimed  
21 at achieving 0.02 grams per brake horsepower hour NOx.  
22 Once demonstrated, these natural gas powered vehicles  
23 would be put into normal on the road service. This  
24 project is expected to be completed by the end of 2016.

25 --o0o--

1           AIR POLLUTION SPECIALIST SANTOS: In proposing  
2 optional NOx standards, it will be critical to ensure that  
3 there are adequate deployment opportunities and incentives  
4 for fleets to make the financial investment to purchase  
5 vehicles with lower NOx engines. Enticing fleets to make  
6 this choice include both financial incentives as well as  
7 regulatory drivers.

8           Current incentive funding programs can already  
9 provide vehicle buyers with a modest incentive to purchase  
10 vehicles equipped with a low NOx engine. In implementing  
11 the low NOx program, staff will continue to work to  
12 identify opportunities to increase funding for these  
13 engines and will work with local air districts on ways to  
14 preferentially fund low NOx engines in local programs.

15           As part of its April 2014 truck and bus  
16 regulation amendments, staff will evaluate potential  
17 changes to the regulation that could incentivize and  
18 facilitate the introduction of low NOx engines into fleets  
19 as they replace older trucks with newer ones meeting 2010  
20 and later standards.

21                           --o0o--

22           AIR POLLUTION SPECIALIST SANTOS: Staff is  
23 proposing one 15-day change regarding the on-board  
24 diagnostic, or OBD, requirements for engine manufacturers  
25 that elect to comply with the optional low NOx standards.

1           Staff's proposed 15-day change would maintain the  
2 current OBD stringency level regardless of how the NOx  
3 certification levels are. Without such a change, meeting  
4 the existing OBD requirements would be very challenging  
5 for manufacturers and likely create a significant  
6 disincentive for them to produce low NOx engines at this  
7 time.

8           Staff will continue to monitor OBD compliance.  
9 And in the future when lower NOx mandatory standards are  
10 established, staff will revisit the stringency of the OBD  
11 requirements.

12                           --o0o--

13           AIR POLLUTION SPECIALIST SANTOS: Now I'm going  
14 to discuss the proposed amendments to the airborne toxic  
15 control measure to limit idling of diesel-fueled  
16 commercial motor vehicles. This rule, here in after  
17 referred to as the idling ATCM or simply ATCM, reduces  
18 emissions from idling diesel fueled commercial trucks and  
19 buses.

20                           --o0o--

21           AIR POLLUTION SPECIALIST SANTOS: The ATCM was  
22 designed to limit idling emissions and thereby reduce  
23 public exposure to diesel exhaust and other toxic air  
24 contaminants and to reduce NOx emissions. The measure was  
25 initially approved by the Board in July 2004 and became

1 effective on February 1st, 2005. It was later amended in  
2 October 2005 to include idling restrictions of sleeper  
3 trucks, idling emission standards for new engines, and  
4 emission performance requirements for alternative idle  
5 reduction devices.

6 The ATCM applies to diesel fueled commercial  
7 trucks and buses with gross vehicle weighting rating  
8 greater than 10,000 pounds. In general, it requires  
9 vehicle operators not to idle the main engine for more  
10 than five minutes. As an option, instead of shutting  
11 down, the engine is allowed to continue idling if it  
12 complies with a low NOx idling emission standard.

13 --o0o--

14 AIR POLLUTION SPECIALIST SANTOS: Since its  
15 inception, the idling ATCM has significantly reduced  
16 idling emissions from trucks and buses. However, the  
17 program's current compliance rate could be improved  
18 because only the driver is held responsible when the rule  
19 is violated. And sometimes it is impractical to issue the  
20 citation directly to the driver. This may happen because  
21 the driver is resting in the sleeper cab or away from the  
22 vehicle conducting other business and he or she is not  
23 available to sign the citation at the time the violation  
24 occurs.

25 In these instances, ARB's enforcement staff has

1 no recourse to identify the delinquent driver and settle  
2 open unsigned citation. Thus, proposed amendments, as  
3 discussed on the next slide, are intended to improve  
4 compliance and enforceability of the existing regulation.

5 In addition, the existing regulation prohibits  
6 idling for more than five minutes within 100 feet of a  
7 restricted area. In the existing idling rule, the term  
8 restricted area is unclear. Staff's proposed  
9 modifications would clarify this definition.

10 --o0o--

11 AIR POLLUTION SPECIALIST SANTOS: To improve  
12 compliance and enforceability of the existing ATCM, staff  
13 is proposing to extend the compliance responsibility to  
14 the vehicle owners and motor carriers. This would provide  
15 ARB enforcement staff with the authority to pursue the  
16 settlement of open citations with drivers, owners, and  
17 motor carriers associated with the vehicle in violation.

18 As discussed in the previous slide, staff is also  
19 proposing to modify the definition of restricted area to  
20 include schools, hotels, and motels. This was the  
21 original intent of the rule.

22 Staff is also proposing other minor  
23 non-substantive modifications to add clarity to the  
24 existing requirements. Staff is proposing that these  
25 amendments become effective beginning January 1st, 2015.

1                           --o0o--

2                   AIR POLLUTION SPECIALIST SANTOS:  The last  
3 regulatory proposal I'm going to discuss are the  
4 amendments to the heavy-duty hybrid electric vehicle  
5 certification procedure.

6                           --o0o--

7                   AIR POLLUTION SPECIALIST SANTOS:  In 2002, the  
8 ARB approved California interim certification procedures  
9 for 2004 and subsequent model hybrid electric vehicles in  
10 the urban bus and heavy-duty vehicle classes.  These  
11 procedures are commonly known as the interim procedure.  
12 This interim procedure was adopted in conjunction with  
13 modifications to the public transit bus fleet rule to  
14 certify heavy-duty hybrid vehicles that could not be  
15 captured in ARB's existing heavy-duty certification  
16 procedures.  The Board approved these interim procedures  
17 with the intention of revisiting procedures, if needed, in  
18 future years.

19                   The interim procedure focused on urban buses.  
20 However, due to expanding commercialization and  
21 advancement of hybrid technology into more sectors of the  
22 heavy-duty market and the need to better quantify emission  
23 reductions from existing and future heavy-duty hybrid  
24 vehicles, staff believes that updates to the existing  
25 interim certification procedure are warranted.





1 the regulation order to include other hybrid vehicles, and  
2 three minor changes to the test procedures as listed on  
3 this slide.

4 This concludes my discussion on staff's proposal  
5 for all five regulations. Before concluding with a recap  
6 and staff's recommendations, I want to first provide you  
7 with a brief overview of a major program that will further  
8 reduce GHG and NOx emissions for medium- and heavy-duty  
9 vehicle fleet.

10 --o0o--

11 AIR POLLUTION SPECIALIST SANTOS: In adopting the  
12 GHG Phase I program discussed earlier in this  
13 presentation, U.S. EPA made clear their intent to adopt a  
14 more stringent Phase 2 program that would go much further  
15 to reduce GHG emissions from medium- and heavy-duty  
16 trucks.

17 In June of this year, president Obama released  
18 his 2013 Climate Action Plan and renewed that commitment,  
19 pledging to develop a national Phase 2 as part of his  
20 second term.

21 Phase 2 is intended to cover model years beyond  
22 model year 2019.

23 --o0o--

24 AIR POLLUTION SPECIALIST SANTOS: ARB is working  
25 jointly with U.S. EPA and the National Highway Traffic



1 the use of additional technologies to reduce GHG emissions  
2 such as additional engine, power train, and aerodynamic  
3 improvements and hybridization, which will necessitate  
4 improvements to test procedures and the GEM model.

5 We look forward to working with U.S. EPA and the  
6 National Highway Traffic Safety Administration as the  
7 Phase 2 regulation is developed. As ARB staff works  
8 together with U.S. EPA and NTSA on Phase 2, we will be  
9 encouraging the inclusion of trailers as a way to achieve  
10 additional GHG benefits.

11 We will also strongly encourage U.S. EPA to  
12 include national NOx reductions in the national Phase 2  
13 program, as well as to structure it in a way that will  
14 allow California to pursue the maximum feasible NOx  
15 reductions from heavy-duty vehicles.

16 --o0o--

17 AIR POLLUTION SPECIALIST SANTOS: To summarize,  
18 staff recommends that the Board approve the proposed  
19 regulatory actions, along with the proposed 15-day  
20 changes. The proposed regulations and amendments will  
21 reduce GHG and NOx emissions from medium-duty and  
22 heavy-duty trucks, harmonize California requirements with  
23 federal requirements, and enforce enforcement and  
24 implementation of existing regulations.

25 --o0o--

1           AIR POLLUTION SPECIALIST SANTOS: In closing,  
2 what I have described today represents the next step  
3 toward meeting our ambitious GHG and NOx emission  
4 reduction goals. The five proposed regulations and  
5 amendments all promote the development and use of new  
6 emission reducing technologies for heavy-duty vehicles and  
7 engines. They also position us to pursue additional GHG  
8 and NOx reductions via Phase 2 and future mandatory NOx  
9 engine standards.

10           That conclude my presentation. Thank you.

11           CHAIRPERSON NICHOLS: Thank you, Mr. Santos.

12           We have 17 witnesses who have signed up to speak  
13 on these items. They will be speaking, I'm sure, some of  
14 them only to one or two and some to all. So if at all  
15 possible when you get up to speak if you could identify  
16 specifically which one you want to focus on, that would be  
17 helpful. I know this is a complicated set of proposals.  
18 But I think they actually do integrate with each other.  
19 And it's been helpful to see how they fit together.

20           So we'll begin with Henry Hogo from South Coast  
21 followed by Chris Wortman and James Thomas.

22           We don't have our projector today, so you can't  
23 watch yourself on where you are on the list. But there's  
24 only 17. Good morning.

25           MR. HOGO: Good morning, Chairman Nichols and

1 members of the Board.

2 I'm Henry Hogo, Assistant Deputy Executive  
3 Officer, Mobile Source Division at the South Coast AQMD.

4 I just want to first express our appreciation and  
5 thanks to staff for reaching out to us on the proposed  
6 regulations and amendment, in particular, on the optional  
7 NOx standards. So we really need these standards to be in  
8 place.

9 And just want to make a comment. Staff didn't  
10 make this comment, that there are several engines at the  
11 .1 level. And we do need to find ways to maximize  
12 funding for the cleaner engines. What we've seen in the  
13 past is that manufacturers come to that first level, but  
14 don't see any reason to go beyond that. So want to work  
15 closely with your staff on proposals to maximize funding  
16 and incentives for cleaner engines.

17 With that, I urge adoption of all the regulations  
18 and amendments. And we look forward to working with staff  
19 on Phase 2 and future regulations.

20 CHAIRPERSON NICHOLS: Thank you very much.

21 Chris Wortman and then James Thomas and Doug Van  
22 Allen.

23 MR. WORTMAN: Good morning.

24 First of all, I'd like to say that I'm totally in  
25 favor of clean air. Any of the new regulations for new

1 vehicles, I think that's a great idea. I think it's  
2 probably -- it's good. It can't be bad. I'm talking  
3 about the truck regulations and AB 32.

4           However, it has a lot of negative effects on  
5 people that are in small business and people that don't  
6 really run their trucks a whole lot. Basically, it's the  
7 new companies and the big companies that have no trouble  
8 at all with AB 32 or any other regulations, really,  
9 because after three years, their trucks are worn out.  
10 They're replacing them anyway. They run these trucks  
11 sometimes 24 hours a day with several drivers.

12           However, in my situation and a lot of people like  
13 me, that's not the case. I work construction. I have  
14 three dump trucks. Our season of work is very short. So  
15 we don't have -- we are not generating the income that  
16 these other guys are generating.

17           My newest truck is a '91. Okay. I have three  
18 trucks. I'm a small business. And it supports my family  
19 and three other families. So we have basically one year  
20 left with the current regulations. So what's going to  
21 happen in one year for me, my family, and how I'm going to  
22 support them, to be honest with you, I have no idea. I  
23 have no idea because the current technology will not fix  
24 my trucks. It's not there. And if it is there, it's so  
25 expensive that it doesn't really make any sense at all.

1 I got a lot of stuff written here, but I probably  
2 won't do it right. So I'm going to say that very soon the  
3 three guys that work for me, they're probably in their  
4 late 50s, early 60s, they're going to be without a job.  
5 And if one of my trucks has a major -- let's say it needs  
6 \$10,000 worth of work, I can't see putting ten grand into  
7 this truck. So if that happened next week, that guy is  
8 out of a job starting next week. My income is going to be  
9 down. My income is already down due to the recession, the  
10 economy, the cost of doing business.

11 My kids are 14 years old. I have twins. I'm a  
12 single full-time dad. I'm raising them by myself. I have  
13 no other source of income. So they're 14. I'm kind of  
14 looking forward to putting them through college so they  
15 don't have to do what I do. They don't have to worry  
16 about what I have to worry about every single day.

17 Now, three brand-new trucks, I'd love to have  
18 them. I'll take them today. If there's no way that I can  
19 afford to have them, why wouldn't I want that? I'd love  
20 to have that. I know there's some grant programs out  
21 there. I'm going to look into them. But right now, I  
22 have no truck payments at all --

23 CHAIRPERSON NICHOLS: Go ahead.

24 MR. WORTMAN: Even a partial truck payment, at  
25 this point in time, I don't see how we can do that.

1           CHAIRPERSON NICHOLS: Could I just clarify with  
2 staff for a moment here? Because obviously your comment  
3 is a broad one and it's addressed to our truck and bus  
4 rule I think. I just want to make sure -- staff, speak up  
5 on this, please. The rules that you're proposing today  
6 are to affect new trucks. There's nothing in the rules  
7 that we're currently talking about right here at this  
8 moment that would require you to give up your older  
9 vehicles or replace them at all, as far as I know. Is  
10 that -- can I -- I just want to get that point clear.  
11 Okay.

12           MR. WORTMAN: Are you asking me?

13           CHAIRPERSON NICHOLS: No. I'm talking to the  
14 staff to explain that.

15           DEPUTY EXECUTIVE OFFICER COREY: That's correct,  
16 Madam Chair, that the proposals today are not. They're  
17 about new vehicles. That's not talk what Mr. Wortman is  
18 talking about.

19           I would like LaRonda Bowen to follow up with him  
20 on the side to discuss because there have been a number of  
21 measures underway to help streamline that transition.

22           CHAIRPERSON NICHOLS: Which we dealt with last  
23 month and we're working on right now.

24           So Mr. Wortman, I'm going to ask you to meet with  
25 Ms. Bowen perhaps outside, if you don't mind, just to



1 follow up on the current -- on the regulation that's  
2 effecting you that you're concerned about and see if there  
3 is anything we can do to be of some assistance.

4 MR. WORTMAN: I appreciate that. And the stuff  
5 I'm talk about it's already been decided.

6 CHAIRPERSON NICHOLS: Yeah. Exactly.

7 MR. WORTMAN: I mean, it doesn't mean that things  
8 can't be changed or some -- but it's really important.  
9 And you know, the trucks that are getting phased out, the  
10 older trucks, they're not going away. They're going other  
11 places. They're going to South America. They're going to  
12 Mexico. They're going all over the place. And if they  
13 were -- if we phase them out as a natural process here in  
14 California in a reasonable amount of time, those would get  
15 scrapped, melted, right here in California. But instead,  
16 they're being shipped out to other places and run far  
17 longer than I would run it. Far longer.

18 CHAIRPERSON NICHOLS: Understood.

19 MR. WORTMAN: It's created a whole new industry  
20 for somebody to make money.

21 CHAIRPERSON NICHOLS: Okay. Thank you, sir.  
22 Thanks for coming in.

23 Mr. Thomas and then Doug Van Allen.

24 MR. THOMAS: My name is James Thomas. I'm with  
25 Nabors Completion and Production Services. And I would

1 like to comment today on the optional low NOx standards.

2 In the staff report, they utilize the word  
3 optional and voluntary and state that this is an optional  
4 and voluntary program. We are concerned that they will  
5 modify the bus and truck regulation in the future to  
6 mandate these optional low NOx standards.

7 When we were developing the bus and truck  
8 regulation, we was told you'll be in compliance when you  
9 get to 2010 standard. And they actually made the  
10 statement that when you get to the 2010 standard, you're  
11 done.

12 And what we want to do is we've been investing in  
13 complying with the bus and truck regulation. We've  
14 invested millions on top of millions of dollars. We've  
15 purchased new vehicles. We've installed a lot of DPFs.  
16 You ask how many. I know over 200 tractors that we have  
17 purchased and an awful lot of DPFs. And we are in  
18 compliance and strive in the each state to be in  
19 compliance with that regulation.

20 If you modify the bus and truck regulation in the  
21 future, it will upset the apple cart. If the bus and  
22 truck regulation was the only regulation that we had to  
23 deal with, that would be one thing. But we are complying  
24 with the portable equipment registration, the off-road  
25 reg, and the on-road reg. And they all run in parallel.

1 And we're investing money in each one of those. And the  
2 investments that we're making are not funded by grants.  
3 They're funded by our company.

4 So all we're asking and requesting is that the  
5 Board would give us some assurances that the bus and truck  
6 regulation would not be mandated to these optional low  
7 standards. All we're asking is that there would be a  
8 natural flow of these engines into our system over a  
9 period of time. We've developed these strategies, and we  
10 want to make sure that we're not mandated to change them  
11 all at one time.

12 I'd like to point out about the cost analysis on  
13 this program. They say it's minimal cost and has no  
14 economic impact on the economy. Well, I read the EMA's  
15 comments, and they did generate a lot of barriers that's  
16 going to generate additional cost. So what we're  
17 requesting that staff work with the EMA and develop what  
18 is the true cost of this regulation. And then one of the  
19 things that they did not include is all of these costs are  
20 going to be transmitted to the chassis manufacturers and  
21 the chassis manufacturers to us. So all we ask is tell us  
22 what the end result is on the end user. And we thank you  
23 for your time.

24 CHAIRPERSON NICHOLS: Thank you, sir.

25 Mr. Van Allen and then Jerilyn Lopez Mendoza, and

1 Timothy Blubaugh.

2 MR. VAN ALLEN: Good morning, Madam Chairman,  
3 Board, staff members.

4 My name is Doug Van Allen. I'm with Baker Hughes  
5 Company.

6 Basically, I came to talk about pretty much the  
7 same thing that JT did. As he mentioned in the past on a  
8 truck and bus rule, we were told by staff once we got to  
9 2010, we were done with our fleets. We spent a lot of  
10 money to get to the 2010 standards with our fleet right  
11 now. We were told during the truck and bus regulation  
12 building a lot of it was going to be optional or  
13 voluntary. And then it was mandated we had to reach that  
14 2010 standard. Basically, we're looking for the same  
15 assurance from staff and from the Board that this won't be  
16 changed in the future.

17 Basically, we had to kind of suck it up with our  
18 Truck Replacement Program. We had to remodel it because  
19 all of our trucks that were below a 2007 were basically  
20 junked or scrap. We couldn't trade them in or sell them.  
21 So we had to start buying all new trucks again with that.  
22 We don't want to have to do that again. Not having a  
23 trade in for a truck makes it really tough to purchase  
24 another truck. It also cuts down the amount of trucks  
25 available for gentleman, like the man that was up here

1 talking about his dump trucks. If we bar him from using  
2 the trucks that we're selling, then he's basically out of  
3 business. We can't afford to buy new trucks.

4 The other thing that we were talking -- we'd like  
5 to talk about is on the EPA -- the Engine Manufacturers  
6 Association was talking about don't think staff really  
7 considered the research and development cost for the new  
8 engines, because it's not just the engines. It's the  
9 aftermarket stuff like the DFPS and the SCR systems. They  
10 don't create those. Those are created by other  
11 manufacturers. So they're going to have to work with them  
12 to make everything work. So we'd like to know that the  
13 cost is there.

14 The last thing I had was on the idling rule. And  
15 Bakers Hughes believes when we hire drivers to drive our  
16 vehicles, they should be responsible. If they get a  
17 ticket for speeding, they're held responsible. They get  
18 the ticket. If they get a ticket for running a red line,  
19 it comes back to me. I see -- because it's on our license  
20 plate. I look at the driver and I give it to him. We do  
21 not pay their speeding tickets. We don't pay their fines.  
22 We shouldn't be held responsible for them not following  
23 our idling policies.

24 That's all I have. Thank you. And have a Merry  
25 Christmas.

1           CHAIRPERSON NICHOLS: Thank you very much. Thank  
2 you and Merry Christmas to you, too.

3           Jerilyn. Welcome. A new face for the Southern  
4 California Gas Company.

5           MS. LOPEZ MENDOZA: Thank you, Chairman Mary  
6 Nichols.

7           Good morning. My name is Jerilyn Lopez Mendoza.  
8 I represent the Southern California Gas Company.

9           I want to thank Chairman Nichols for her warm  
10 welcome and thank the Board members for this opportunity  
11 to comment on the third of the five proposed rules you're  
12 considering within this Board item, the proposed adoption  
13 of optional reduced NOx emissions standards for heavy-duty  
14 engines.

15           Southern California Gas would first like to thank  
16 staff for including and citing two of our company's  
17 demonstration projects in its Initial Statement of Reasons  
18 for this proposed optional standard. We deeply appreciate  
19 the acknowledgement of our hard work.

20           Southern California Gas has conducted rigorous  
21 multi-faceted air quality analyses regarding zero and  
22 near-zero emission natural gas engine technology. Our  
23 analysis has led us to the conclusion that use of natural  
24 gas engines is a logical pathway for expedited market  
25 penetration for heavy-duty engines that meet one or more

1 of the optional low NOx standards you're considering  
2 today.

3           Indeed, as you already know, CNG and LNG  
4 heavy-duty trucks are already an essential part of  
5 successful reductions in particulate matter and NOx  
6 reduction throughout the state. We're convinced these  
7 proposed new optional low NOx standard can serve an  
8 important role in achieving the ozone and particulate  
9 matter standards in the South Coast and San Joaquin Valley  
10 air basins.

11           Further, as previously suggested, Southern  
12 California Gas urges the Board to convene a statewide  
13 stakeholder group of truck manufacturers, vendors, fuel  
14 suppliers, and operators, such as the ones you've heard  
15 from this morning, to address very ideas to expedite  
16 commercially available engines meeting the optional  
17 standards as soon as possible.

18           Additionally, to support long-term economic  
19 viability of cleaner engines, Southern California Gas is  
20 committed to supporting efforts by the State to reach out  
21 to other regions in the nation to gain their cooperation  
22 and purchasing and operating these cleaner heavy-duty  
23 trucks.

24           Because there is an acknowledged cost  
25 differential between natural gas trucks with .2 grams per

1 brake horsepower hour of NOx emissions and those with .5  
2 or .05 or .02 grams per brake horsepower hour of NOx  
3 emissions, we believe in early and meaningful stakeholder  
4 discussion to address the cost differential via programs  
5 such as the Carl Moyer Memorial Air Quality Standards  
6 Attainment Program, could help get cleaner engines to the  
7 market sooner. Southern California Gas is eager to assist  
8 in such a convening effort.

9 We urge you to adopt the optional reduced  
10 emissions standard for heavy-duty engines, and I thank you  
11 for your time and consideration.

12 CHAIRPERSON NICHOLS: Thank you. And precisely  
13 on time.

14 Timothy Blubaugh and then Brian Johnson and Tracy  
15 Norberg.

16 MR. BLUBAUGH: Good morning. I'm Tim Blubaugh  
17 with the Truck and Engine Manufacturers Association.

18 ARB is proposing today to adopt rules that align  
19 with EPA's historic heavy-duty commercial vehicles and  
20 engine greenhouse gas program. We strongly support that  
21 effort.

22 Like the exceptional results we have achieved  
23 working with ARB and EPA to reduce criteria pollutants, we  
24 believe the National Greenhouse Gas Program will be the  
25 next success story. A cornerstone of that success is



1 having a single national program. ARB committed to that  
2 effort is and is following through. Thank you.

3 Yet, already, work has begun on developing more  
4 stringent second phase of the national program. We are  
5 encouraged that ARB will actively participate in  
6 developing that rule and intends to stay aligned with the  
7 EPA. We have noted to your staff and in our comments a  
8 few instances where ARB's proposed greenhouse gas rule  
9 deviates from the national standard. We have worked with  
10 staff to minimize those differences, and we hope the Board  
11 will adopt the changes to the final rule that staff has  
12 recommended.

13 Regarding the proposed optional low NOx  
14 standards, EMA generally supports programs designed to  
15 provide incentives for the purchase of advanced technology  
16 engines. However, you should know we have a number of  
17 significant concerns about the proposed rule. For  
18 example, the well known trade off and inverse relationship  
19 between with NOx emissions and greenhouse gas emissions  
20 will impede manufacturer's efforts to achieve better fuel  
21 efficiency and lower greenhouse gas emissions by improving  
22 the NOx conversion efficiency of SCR aftertreatment  
23 systems.

24 In addition, ARB's rigorous and exacting engine  
25 certification requirements are a significant impediment to

1 the ability to meet the proposed ultra low standards and  
2 diminish the likelihood that manufacturers will even  
3 invest in trying. Under ARB's regulatory protocol,  
4 manufacturers must account for measurement accuracy,  
5 variability, compliance margin, deterioration factors, and  
6 the like.

7           The availability of Carl Moyer Funds associated  
8 with proposed ultra low NOx emission limits theoretically  
9 may provide an incentive to purchase the new engines. But  
10 the NOx fuel efficiency tradeoff and the enormous  
11 certification burdens associated with measuring and  
12 complying with such standards under the existing  
13 regulatory scheme are substantial impediments to  
14 manufacturers investing the hundreds of millions of  
15 dollars likely needed to commercialize the ultra low NOx  
16 technology. We do appreciate, however, that staff has  
17 recommended a change to the rule, which we urge the Board  
18 to adopt.

19           Finally, please note that we are concerned that  
20 the atmospheric chemistry associated with reducing NOx and  
21 to achieve ozone compliance is still not wholly  
22 understood.

23           We are very interested and willing to work with  
24 the Board and staff on these important issues, especially  
25 if the Board might consider mandatory ultra low NOx

1 standards in the future. Indeed, we are already working  
2 with staff to augment ARB's own ongoing low NOx research.

3 One last point, we appreciate that ARB is  
4 updating and expanding their hybrid certification  
5 procedures. And we hope that the Board will improve the  
6 additional change recommended by staff. Thank you.

7 CHAIRPERSON NICHOLS: Thank you.

8 Mr. Johnston and then Tracy Norberg.

9 MR. JOHNSTON: I'd like to thank the Board for  
10 their time this afternoon.

11 I'm Brian Johnston. I work for Lightning  
12 Hybrids. We're a hydraulic hybrids manufacture in  
13 Loveland, Colorado.

14 I'd like to comment on the test procedures for  
15 heavy-duty bus and truck. We're concerned at Lightning  
16 Hybrids, as well other hybrid manufacturers, that the test  
17 procedures do not go far enough to address the hydraulic  
18 hybrid as an entity. The verbiage that included us in the  
19 procedures said that "certification application and test  
20 procedures for determining compliance shall be determined  
21 by the Executive Officer on a case by case basis."

22 The test procedure as written can be executed by  
23 hydraulic hybrids with a simple inclusion of an energy  
24 change equation that is based on pressure instead of  
25 voltage and current. That takes the procedure to a much

1 simpler for us to execute level and is absolutely straight  
2 forward. As written, it seems that the Executive Officer  
3 can determine exactly how we comply with or can't comply  
4 with a certification process.

5           Hydraulic hybrids are not an experimental or  
6 fringe technology. They're fielded by UPS and multiple  
7 cities. There is 100 hybrid trash trucks already in  
8 California. And my company also has several fleets that  
9 we serviced outside of the state. UPS contacted us this  
10 week and said they would be happy to buy our trucks if  
11 they were ARB certified and HVIP eligible. This is a  
12 technology that is idealized for heavy-duty trucks and  
13 buses. It's the sweet spot for the technology. And I  
14 think it should be simpler for us to certify that  
15 technology in California.

16           Thank you for your time.

17           CHAIRPERSON NICHOLS: Thank you for your comment.

18           I think I'm going to ask staff to respond to that  
19 one at this time, if you would.

20           ADVANCED PLANNING AND DEVELOPMENT SECTION MANAGER  
21 HENROY-ROGALSKI: Thank you very much for coming in today.  
22 We certainly appreciate it. And I think you made some  
23 valid points. We're going to be proposing some 15-days  
24 changes to our certification change procedures. And we'd  
25 like to offer to work with you to address some of your

1 concerns during those 15-day changes.

2 MR. JOHNSTON: Great. My contact information is  
3 in my written comments.

4 CHAIRPERSON NICHOLS: Thank you.

5 Tracy Norberg is next and then Dr. Joseph Kubsh.

6 MS. NORBERG: Good morning, Chairman Nichols and  
7 members of the Board.

8 I'm pleased to be here this morning on behalf of  
9 the tire manufacturers that manufacture tires here in the  
10 United States.

11 Like has been said before by other speakers, we  
12 support the Board's efforts to implement Phase I and to  
13 align with the federal rules. From our perspective, this  
14 will lead to increased efficiencies and benefit both the  
15 environment and businesses. So we applaud you for that  
16 and thank you.

17 Likewise, we are very pleased you're looking to  
18 work directly with EPA and NTSA on Phase 2. I think that  
19 will hopefully streamline the process going forward. And  
20 we look forward to working with you and the other agencies  
21 on that.

22 From our perspective, the major issues we have  
23 are with how the regulations are going to be enforced and  
24 in terms of the in-use audits. And we did go over this in  
25 our written comments, so I won't go into a lot of detail

1 here other than to say from the tire manufacturers'  
2 perspective, they work closely with truck manufacturers  
3 for new vehicle certification. And the federal rules do  
4 recognize that when it comes to the owner-operator  
5 replacing tires with low-rolling resistance, there may be  
6 an incentive for them to do that, but there is not a  
7 specific mandate to do that for them in use. And we are  
8 interested in how the Board will look at the in-use  
9 provisions. And we have pulled out some of the preamble  
10 language that is cited in the EPA NTSA rule, and we  
11 encourage the Board to consider looking at that. And  
12 we're happy to work with the Board as you look at in-use  
13 provisions as well.

14 We have, I think, a track record of working  
15 closely with staff as they've worked through the  
16 tractor-trailer regulation with respect to SmartWay tires  
17 and we're ready and able to do that again as this process  
18 goes forward.

19 CHAIRPERSON NICHOLS: Thank you. Okay.

20 Dr. Kubsh and then Jeff Shaffer from Volvo and  
21 Adrian Martinez from Earth Justice.

22 MR. KUBSH: Good morning, Madam Chair, members of  
23 the Board.

24 I'm Joe Kubsh, the Executive Director of the  
25 Manufacturers of Emission Controls Association.

1           Our industry has a long history of supporting  
2 California's innovative technology-forcing mobile source  
3 emission programs, and I'm here today to indicate MECA's  
4 support for the proposed voluntary low NOx emission  
5 standards for highway heavy-duty engines.

6           These standards, once in place, will accelerate  
7 the introduction of new advanced emission control  
8 technologies that reduce NOx for both diesel and natural  
9 gas engines employed on new trucks and buses.

10           Selective catalytic reduction systems and diesel  
11 particulate filters are already being utilized to achieve  
12 impressive reductions in NOx and PM and improved fuel  
13 efficiency from today's engines. And MECA members are  
14 continuing to develop improvements to these classes of  
15 emission controls that will provide engine manufacturers  
16 with pathways for achieving the proposed voluntary NOx  
17 emission standards.

18           For diesel engines, examples of advanced NOx  
19 technology include improved SCR catalyst formulations, SCR  
20 catalysts that are coated directly on diesel particulate  
21 filters, and passively NOx absorber catalysts.

22           For stoichiometric natural gas engines, engine  
23 manufacturers will be able to utilize advanced three-way  
24 catalysts formulations and configurations that have been  
25 commercialized for today's wide range of PZEV and SULEV

1 compliant light-duty gasoline vehicles.

2 As indicated in your staff, many of these  
3 advanced NOx emission control technologies will be  
4 evaluated in the upcoming heavy-duty NOx emission test  
5 program that was recently launched at Southwest Research  
6 Institute in San Antonio, Texas. And MECA is an important  
7 partner with CARB in that important test program.

8 MECA also encourages California to put in place  
9 necessary incentives to help drive market demand for these  
10 new heavy-duty engines that are certified to these low NOx  
11 voluntary standards that are in the proposal today.

12 I'd like to close by saying that I would like to  
13 ask the Board to please approve these proposed voluntary  
14 low NOx emission standards. And I want to thank the staff  
15 for bringing forward this proposal for your consideration  
16 today. Thank you.

17 CHAIRPERSON NICHOLS: Thank you, Mr. Kubsh.

18 BOARD MEMBER SPERLING: Chairman Nichols -- right  
19 here.

20 CHAIRPERSON NICHOLS: Sorry.

21 BOARD MEMBER SPERLING: This is Dan.

22 CHAIRPERSON NICHOLS: Oh, sorry. So focused on  
23 the outside group here. Good morning.

24 BOARD MEMBER SPERLING: Can I ask just a --

25 CHAIRPERSON NICHOLS: Of course.



1           BOARD MEMBER SPERLING: Are there any of these  
2 technologies that you're looking at that could meet the .5  
3 and .1 and .05 standards that would not have any  
4 reductions in vehicle efficiency, engine efficiency? In  
5 other words, are we looking at some technologies that  
6 don't have trade-offs with the greenhouse gas rule?

7           MR. KUBSH: Yeah. We believe there are  
8 opportunities to achieve lower NOx without compromising  
9 fuel efficiency and greenhouse gas standards. And that's  
10 the goal of this test program that was mentioned by staff  
11 as well is to demonstrate these ultra low NOx technologies  
12 with little impact on engine fuel efficiency, for example.

13           One of the technologies I mentioned SCR coded  
14 filters for example is being commercialized in the  
15 light-duty diesel arena by Volkswagon. They made that  
16 announcement. That technology will be on new light-duty  
17 diesel vehicles in Europe starting next year. And that  
18 technology will be here in the U.S. in 2015.

19           CHAIRPERSON NICHOLS: That's very helpful. Thank  
20 you. Good question.

21           Okay. Mr. Shaffer.

22           MR. SHAFFER: Good morning, Madam Chairman and  
23 members of the Board.

24           My name is Jeff Shaffer. I'm with Volvo Group  
25 Trucks, a manufacturer of heavy-duty vehicles and engines

1 for the U.S. and other global markets.

2 The Volvo Group would like to thank you, the  
3 Board, for the opportunity to make this statement. I do  
4 want to apologize for having to read my statement because  
5 I want to make sure that all our concerns are covered.

6 We'd like to focus our comments on the optional  
7 low NOx standards that are proposed for adoption at  
8 today's hearing. Volvo has serious concerns about the  
9 proposed regulation and ultimately the specter of an  
10 eventual mandatory regulation according to CARB's stated  
11 intent.

12 The most foundational of these concerns is linked  
13 to the basic question of whether introducing even more  
14 stringent NOx standards will, in fact, contribute to  
15 reduction in the ambient ozone. Recent studies have  
16 raised important questions about the chemical interactions  
17 between ambient ozone, NOx, and volatile organic  
18 compounds, measuring in some cases surprising increases in  
19 ozone under reduced ambient NOx levels. So until the  
20 science has satisfactorily demonstrated that even lower  
21 emitting engines will further reduce ambient ozone levels,  
22 rather than increase them, the Air Resources Board should  
23 not adopt NOx standards more stringently than exist today  
24 voluntarily or mandatory.

25 It's important that the Board also recognize the

1 long-standing condition that engine NOx reductions are  
2 traditionally associated with the detrimental effect on  
3 engine fuel efficiency, which means the pursuant of this  
4 ultra low NOx emitting engine is in direct conflict with  
5 other important goals of the Board, that of addressing  
6 climate change.

7           These fundamental issues, notwithstanding even if  
8 there were a technology known to be capable of complying  
9 with all aspects of the ultra low NOx standards throughout  
10 the regulated useful life, the lack of instruments capable  
11 of accurately measuring NOx at such low levels make it  
12 extremely difficult, if not impossible, to refine and  
13 calibrate engines deploying capable technology. This  
14 measurement accuracy issue is a concern, not only for the  
15 development and calibration of these engines, but even  
16 more so for the delicate job of demonstrating  
17 deterioration factors, as well as calibration of OBD  
18 monitors.

19           This brings us to the last of the concerns we  
20 want to comment on today, on-board diagnostic  
21 requirements. The introduction of a robust OBD system  
22 that meets the Board's system expectations while avoiding  
23 false detections in the field has proven to be an immense  
24 challenge to our industry, compelling the deployment of  
25 vast resources at a great financial burden. To comply

1 with these requirements in the context of ultra low NOx  
2 emission engine is sure to be all the more challenging.

3 Staff's proposed practice of pushing  
4 manufacturers to do the best that they can, rather than  
5 complying with requirements already demonstrated to be  
6 feasible by the time of rulemaking, is an unacceptable  
7 practice.

8 So let me close by saying that even if this  
9 regulation were beyond the reasonable technical capability  
10 of the manufactures for all the aforementioned reasons,  
11 the adoption of ultra low NOx standards before the ozone  
12 science is sufficiently mature could have negative  
13 repercussions. And, hence, Volvo encourages the Board to  
14 avoid such an action by not adopting the proposed optional  
15 standards today. Thank you very much.

16 CHAIRPERSON NICHOLS: Thank you.

17 We'll move on next to Adrian Martinez and then  
18 Don Anair and Diane Bailey.

19 MR. MARTINEZ: Good morning, Chair Nichols and  
20 members of the Board.

21 My name is Adrian Martinez. I'm with Earth  
22 Justice. I'm also -- Earth Justice is also participant in  
23 the California Clean Air Freight Coalition, which is a  
24 broad coalition of environmental justice, health, and  
25 environmental groups that have come together to work on

1 statewide freight issues.

2           We are here to support the proposals today, but  
3 also to ask that more be done despite the significant  
4 progress that's been made on truck and bus rule and other  
5 regulations on ships and harborcraft cargo handling  
6 equipment. There's still a lot more that needs to be  
7 done. This is based on the need to get further reductions  
8 to meet Clean Air Act goals, AB 32, and Executive Order  
9 goals, but also to clean up the toxic hot spots that have  
10 formed around ports, rail yards, and distribution centers  
11 throughout the state.

12           It's our understanding that staff is doing a lot  
13 of work on additional freight activities today. There's  
14 several packages related to freight. We'd like to see  
15 that the staff present to the Board about what the plan is  
16 to develop a freight plan. We think it's necessary to get  
17 to the next level of emissions reductions. And we'd like  
18 to see that happen soon, preferably early in the new year.

19           The main reason is, as we've heard today, there  
20 are a significant number of industry stakeholders,  
21 manufacturing stakeholders, but also impacted communities,  
22 the health community that need to be outreached as this  
23 plan is developed. So it's a significant process and  
24 effort to gather input about what's the smart path to  
25 tackle this very difficult problem.

1           So with that, we support but also ask that there  
2 be further action to identify what's the process to  
3 develop the freight plan in the new year. Thank you.

4           CHAIRPERSON NICHOLS: Okay. Thank you.

5           Don.

6           MR. ANAIR: Good morning, Madam Chair and members  
7 of the Board. I'm Don Anair with the Union of Concerned  
8 Scientists and Research. Am Deputy Director in the Clean  
9 Vehicles Program.

10           Five years ago, I testified before this Board as  
11 you were considering the first-in-the-nation greenhouse  
12 gas standards for trucks and trailers. And I want to use  
13 this opportunity to thank you for your leadership in  
14 establishing these standards which have now led to federal  
15 action. And we're supportive of moving forward today with  
16 the effort to align with those standards.

17           But I also wanted to take the opportunity to  
18 stress how important this next round of standards for  
19 Phase 2 will be in terms of achieving emission  
20 reductions -- greenhouse gas emission reductions and fuel  
21 consumption reductions from heavy-duty trucks with growing  
22 freight demand over the coming years. Even with current  
23 standards, we expect that fuel consumption emissions will  
24 increase. And analysis of potential technologies that are  
25 available today and in the coming decade show levels of

1 50 percent or more reduction available from heavy-duty  
2 trucks compared to the existing standards, which achieve  
3 about 23 percent for tractor-trailer. So the technology  
4 is out there. And we need to move forward in addressing  
5 the growing emissions from heavy-duty trucks on the  
6 greenhouse gas side of things.

7 One of the key pieces there as well I think and  
8 it was mentioned in the staff report is ARB's leadership  
9 on reducing emissions by implementing trailer standards.  
10 And that has not been taken up by the federal agencies  
11 yet. So California can provide a very important  
12 leadership role in making sure those are included in Phase  
13 2 standards.

14 I also wanted to support the development of the  
15 NOx certification levels that are being proposed today. I  
16 think those are important to start to address the need for  
17 this 90 percent reduction in nitrogen oxide emissions to  
18 achieve our air quality standards.

19 And I think it's important to provide people who  
20 are purchasing these vehicles who might be advertised  
21 about lower emissions vehicles that they're actually  
22 certifying to a level they can assure them they're getting  
23 those reductions.

24 And finally, I just wanted to mention the vision  
25 for clean air analysis, which was brought before this

1 Board last year by staff of ARB and the air districts,  
2 really showed not only the tremendous reduction in  
3 nitrogen oxide emissions that are needed to achieve our  
4 air quality standards, but really quoting from that work  
5 zero and near zero emission technologies must become the  
6 norm. That is an enormous undertaking in the freight  
7 sector in particular.

8 So similar to the comments made by Mr. Martinez,  
9 we strongly support the development of this sustainable  
10 freight initiative and would like to see the Board take  
11 that up and define how that's going to move forward in a  
12 timely way.

13 And I'll just finish by thanking staff for  
14 bringing the proposals to the Board today and the Board's  
15 leadership on this.

16 CHAIRPERSON NICHOLS: Thanks, Mr. Anair.

17 Diane Bailey and Will Barrett and Chris Mertens.

18 MS. BAILEY: Good morning, Madam Chair, members  
19 of the Board and staff.

20 My name is Diane Bailey. I'm a Senior Scientist  
21 at the Natural Resources Defense Council. NRDC is also a  
22 member of the California Clean Freight Coalition that my  
23 colleague Adrian Martinez spoke about. Our coalition has  
24 several dozen groups across the state working towards  
25 transformational change of the freight sector and



1 addressing the ongoing health impacts in freight impacted  
2 communities.

3           We're here today in very strong support of this  
4 regulatory package impacting diesel trucks. But I wanted  
5 to talk to you more broadly about diesel trucks. Cleaning  
6 up diesel truck pollution in the state is really a top  
7 priority for us. We strongly support the general truck  
8 and bus regulation that you've heard a little bit about  
9 today. I know it's a little bit off topic. But the  
10 diesel truck regulation, the whole package, is really the  
11 cornerstone of clean air regs in the state. While we know  
12 the amendments are necessary to these regulations and  
13 we've heard very compelling comments today about some of  
14 the pressing economic pressures, particularly on small  
15 businesses, and we know that this agency has done a lot of  
16 outreach and given a lot of assistance to small businesses  
17 in meeting those regulatory requirements.

18           What we really want to emphasize is the  
19 tremendous public health benefits of those regulations and  
20 the need to preserve those health benefits along the way  
21 as you're considering those amendments.

22           Over the years, this agency has done so much to  
23 clean up diesel freight pollution, including the truck  
24 regulation. But about half a dozen other measures,  
25 cleaning up the freight sector, and we've come a long way,

1 but we still face tremendous health impacts in the  
2 freight-impacted communities. We have communities with  
3 asthma rates impacting about one in five children, many  
4 communities in our state. And cancer risks related to air  
5 pollution at an additional risk level of a thousand per  
6 million. So incredibly risks remain, despite the solid  
7 legacy of work in this area. So we have a lot of work to  
8 do.

9           And while we support this regulatory package  
10 before you today as a very important step forward, we hope  
11 that you'll consider much broader, bigger measures in the  
12 form of a sustainable freight initiative. And we hope  
13 you'll move forward quickly on that.

14           I know staff has been working very hard on  
15 freight-related measures. What we're hoping to see is a  
16 lot more work in the public light with reports to this  
17 Board and public hearings on this issue and bigger picture  
18 items looking at more transformational change, looking at  
19 zero and near zero emission technology to be implemented  
20 across the board in the freight sector and moving us away  
21 from fossil fuels.

22           We look forward to working with staff and  
23 continuing to support these important measures. Thank you  
24 so much.

25           CHAIRPERSON NICHOLS: Thank you, Ms. Bailey.

1 Will Barrett, Chris Mertens, and Tim Carmichael.

2 MR. BARRETT: Good morning. My name is Will  
3 Barrett with the American Lung Association of California.

4 The American Lung Association of California  
5 strongly supports innovative approaches to reducing  
6 harmful emissions. We believe the approval of the  
7 voluntary NOx certification standards will help to further  
8 this goal. By incenting reductions beyond the current  
9 standards, ARB continues to push for cleaner technology to  
10 protect the public's health. We find that to be a  
11 critical step in this process.

12 And given California's ongoing air quality  
13 challenges, it's critical that we explore and incentivize  
14 all possible options for reducing air pollution in our  
15 state to view the standard as a minimum and to push  
16 towards zero and near zero emission technologies which is  
17 particularly important in the freight sector. We support  
18 this package that staff has proposed and support ARB's  
19 overall commitment to moving forward with more sustainable  
20 goods movement strategies. More broadly, in its support,  
21 these are all in support of our air quality and climate  
22 change goals. We encourage you to take the sustainable  
23 freight issue some of my colleagues mentioned up as  
24 quickly as possible.

25 The Lung Association is also part of the

1 California Cleaner Freight Coalition and want to work with  
2 you as we go forward. So we do look forward to working  
3 with you in the new year to continue this important work  
4 in protecting the public's health as we go forward. So  
5 thank you very much. Happy holidays.

6 CHAIRPERSON NICHOLS: Thank you. To you, too.  
7 Chris Mertens.

8 MR. MERTENS: Hi. Good morning, my name is Chris  
9 Mertens here on behalf of CALSTART today. Our comments  
10 will focus on the optional NOx standards and the hybrid  
11 electric certification procedure regulations.

12 CALSTART applauds ARB staff for moving forward  
13 with the voluntary low NOx standards. This is a very  
14 important step forward and generally in line with one of  
15 key recommendations from the CEC CalHEAT Truck Research  
16 Center.

17 We note the real key here is lower emission  
18 vehicles, not just engines. Hybrid and alternative fuel  
19 systems, such as range extended plug-in hybrid vehicles,  
20 can provide the same level of emission benefits, but would  
21 not be captured by an engine only certification. We  
22 encourage you to keep this in mind when thinking about how  
23 to provide incentives for cleaner technologies through  
24 Carl Moyer, Prop. 1B, and other avenues.

25 Vehicle electrification and hybridization can

1 provide substantial benefits in many different ways. We  
2 support the goals and standards and test procedures, but  
3 note that some of our members with innovative new  
4 technologies have raised technical concerns about whether  
5 or not the new procedures provide a clear path forward  
6 that allow them to certify their vehicles and get credit  
7 for the emission reductions provided by their  
8 technologies.

9 We'd like to thank staff for the work to date on  
10 these items and we look forward to continuing to work with  
11 you on certification procedures and incentive structures  
12 that ensure we are driving innovation across the board on  
13 zero and near zero emission trucks and buses.

14 Thank you very much.

15 CHAIRPERSON NICHOLS: Thank you.

16 Tim Carmichael and then Bill Magavern battling  
17 cleanup.

18 MR. CARMICHAEL: Good morning, Chair Nichols,  
19 members of the Board. Happy holidays to all.

20 Tim Carmichael with the California Natural Gas  
21 Vehicle Coalition. I'm here to comment specifically on  
22 the optional low NOx standards. We were one of the  
23 organizations many months ago now encouraged Eric White  
24 and others on the staff to pursue the development of these  
25 optional NOx standards because we strongly believe that

1 natural gas engines can achieve these standards in the  
2 near term. We have -- as we have discussed with staff,  
3 achieving these standards, though technically feasible, is  
4 going to cost more money. And the key piece, as staff  
5 noted in their presentation, are effective incentives both  
6 for the engine manufacturers to produce these engines and  
7 for the fleets to buy these engines once they're  
8 developed.

9           We look forward to working with staff on  
10 developing those effective incentives. There are a lot of  
11 interesting technologies and approaches that are in the  
12 works as we heard from the South Coast and others. And  
13 we're excited about what can be done in the near term.  
14 And that's the next, you know, two to three years in  
15 achieving these standards. Incentives is a key piece.

16           Couple other people noted, and this is another  
17 important detail is, you know, these emissions standards  
18 are getting so low that our testing equipment is having  
19 difficulty verifying that the engines are performing at  
20 those standards. That's another detail that we -- this  
21 agency and the developers need to continue to work  
22 together on.

23           With that, we're here to support this proposal  
24 and very appreciative of the staff's efforts to date.  
25 Thank you very much.

1           CHAIRPERSON NICHOLS: Mr. Magavern, if you want  
2 to preserve your position as last to speak, I'm going to  
3 have to take somebody else ahead of you who forgot to  
4 appear. So just stand by. You will get the last word.

5           And we'll hear from Michael Tunnel of the  
6 American Trucking Association. You did the right thing in  
7 signing up online. You just forgot to check in with the  
8 clerk.

9           MR. TUNNELL: I didn't realize I needed to check  
10 in. I apologize.

11           Good morning, Chairman Nichols and members of the  
12 Board. Good to see everybody here today.

13           I'm Mike Tunnell with the American Trucking  
14 Association. And I just want to take a moment to  
15 acknowledge staff and the work that they've done getting  
16 out the draft regulatory language early and giving us a  
17 chance to look it over and their willingness to discuss  
18 our questions and concerns about it. So thank you.  
19 That's been very helpful.

20           We support the proposed alignments with the  
21 federal Phase I greenhouse gas program. The new engine  
22 and vehicle standards, harmonizing those is very  
23 important. As you know, trucks travel all over the  
24 country internationally as well as throughout North  
25 America. So having harmonized standards is very

1 important. So we ask you to support that.

2 As far as the tractor-trailer in-use requirements  
3 having alignment eliminates the possibility of buying a  
4 new truck and having it not compliant with California  
5 standards. So it just makes everything in sync and eases  
6 travel for trucking companies throughout North America.

7 And I've got a little bit of everything. So if  
8 you can follow me here.

9 Optional low NOx standards, we want to maintain  
10 the technology neutral approach and a voluntary approach.  
11 And I think the proposal does that. I think cost  
12 feasibility and cost effectiveness are going to be the two  
13 factors in this. And it sounds like there's a lot of  
14 questions on where this goes. But you know somehow as  
15 things go forward, getting the largest pool of demand may  
16 help lower cost. And I think we would urge the State to  
17 really maintain control over the program and kind of try  
18 to keep it more broader in scope.

19 Our concerns with the low NOx standard is moving  
20 towards California-only standards. I think as you've  
21 heard in October, you've heard some today, you'll probably  
22 hear in April, the California in-use standards are really  
23 causing a lot of hardships, a lot of inequities. And as  
24 we move forward on this, I think we really need to be  
25 cognizant of that and try to avoid that approach in the



1 future. If we can, you know, get ahead of the game a  
2 little bit, hopefully this will not be needed in the  
3 future.

4 And lastly, I want to talk about the idling  
5 regulation, you know, adding owners and motor carriers to  
6 that regulation. And basically if they can't identify the  
7 drivers, there's a possibility of three copies of a ticket  
8 being out there. And it seems as you walk through this  
9 process that it may not be a very efficient process from  
10 perspective of staff resources, your staff resources, as  
11 well as figuring out who's paying the tickets, who's  
12 responsible, and how it all works from an enforcement  
13 perspective. So we'll just ask that that gets looked at a  
14 little closer. And I think there's more work to be done  
15 to get those tickets collected.

16 So thank you for squeezing me in.

17 CHAIRPERSON NICHOLS: Thank you.

18 All right, Mr. Magavern.

19 MR. MAGAVERN: Thanks.

20 Bill Magavern with the Coalition for Clean Air in  
21 support of the package that's before you this morning.

22 First, just briefly, we think that enforcement of  
23 the idling regulation is very important to public health  
24 and that it's appropriate to hold the owners as well as  
25 the drivers responsible. So we urge your adoption of

1 that.

2           And then on the optional low emission standard  
3 for heavy-duty vehicles, we think that it is both feasible  
4 and essential to adopt that optional standard. We know  
5 from the Vision for Clean Air that came from your staff  
6 and the South Coast and San Joaquin Air Districts that we  
7 need to reduce emissions in those air basins to very close  
8 to zero. So this is one step on the road, which is  
9 clearly going to be a very difficult road. But we will  
10 continue to advocate for the availability of incentive  
11 funding for those who comply with this standard. So we  
12 think that is an important piece that you're adopting  
13 today.

14           And finally, I want to join with my colleagues in  
15 the California Clean Air Freight Coalition in calling  
16 attention to the need for a broader sustainable freight  
17 initiative. And we have had some very good conversations  
18 with the staff as well as with a number of the Board  
19 members and look forward to continuing those conversations  
20 and working towards an actionable plan next year. Thanks.

21           CHAIRPERSON NICHOLS: Thank you.

22           That concludes the list of witnesses on these  
23 five items. So when it comes back to the Board for  
24 comments and questions, et cetera. I had a couple I  
25 guess, so maybe I'll just start.

1           One is to respond to the several comments that we  
2 heard from the environmental and public health communities  
3 about the desire for a more formal structured look at the  
4 freight work that's going on within ARB. And I've heard  
5 from several of you Board members. So I expect some of  
6 you may wish to comment further on this.

7           But clearly, there's a need to bring more focus  
8 if only in terms of public communications to what's going  
9 on at ARB. This is a terrifically important issue area,  
10 both for ground level pollution and for the planet. And  
11 it's also something that we're increasingly devoting staff  
12 resources and expertise and research money to, working  
13 with some of the large districts, especially South Coast.

14           So I think it would be a good idea for us to add  
15 to the rule specific resolutions that we're dealing with  
16 this morning, a resolution. I don't think it has to be  
17 very lengthy. But I think it should be explicit, that we  
18 do want to have a staff briefing for the Board early next  
19 year and that we are, in fact, as a Board really committed  
20 to moving this agenda item over for all the reasons that  
21 were stated, the need on the part of communities, the need  
22 for people to know where we're headed.

23           You know, I don't think any of us enjoy -- I  
24 don't mean to be negative about this. But the experience  
25 of having to go through a mandatory fleet turnover for

1 trucks is not one that anybody wanted or looked forward  
2 to. It was something we did because we felt we were  
3 compelled to do it by our overarching responsibilities to  
4 meet federal clean air standards. But the more we can get  
5 ahead of these standards and the more we can integrate our  
6 work and focus as we have in the past on the new vehicles  
7 and incorporating technologies as the fleet turns over, I  
8 think the happier we will all be.

9 So I think that becomes a part of the message  
10 here is that there are things we need to do to effect the  
11 way in which vehicles are operated. We're working through  
12 SB 375 and local planning and other things on hot spots  
13 and communities. We're working on other aspects of this  
14 program. But the focus in terms of our ARB's core  
15 expertise is really on the vehicle side of things and what  
16 can be done.

17 So I think if we could just state the Board's  
18 intention in this regard and ask the staff for a date if  
19 at all possible early next year when you think you could  
20 do an initial briefing on the work that's underway. I  
21 don't know if you've got that in mind already.

22 But, Mr. Corey.

23 DEPUTY EXECUTIVE OFFICER COREY: Yes, Chairman  
24 Nichols. We think we can return to the Board in January  
25 for the January Board item to discuss the plan going

1 forward and the process.

2 CHAIRPERSON NICHOLS: That's terrific. I didn't  
3 mean to preempt other Board members, but I know there is a  
4 lot of anxiousness about this.

5 We'll start with you, Mr. Gioia.

6 BOARD MEMBER GIOIA: I really appreciate our  
7 Chair pointing this out. I think this is an extremely  
8 important issue.

9 And I think what would be useful when the staff  
10 prepares this is to do it in a way that also identifies  
11 where there may be potential gaps. And I think part of  
12 getting it all in one matrix and presentation allows us to  
13 see I think: One the really good work that's going on;  
14 and two, where there may be opportunities to cover some  
15 gaps in trying to look at this sort of comprehensively and  
16 wholistically. Because there are a lot of separate  
17 efforts as you point out that address the freight issue.

18 And so part of it is a communication to the  
19 public and stakeholders about what we're doing, but it's  
20 also about identifying where there may be some potential  
21 gaps or where there may be need for even more aggressive  
22 steps. So if staff can prepare it with that in mind  
23 and -- I think it will be a great discussion. Thanks.

24 CHAIRPERSON NICHOLS: Dr. Balmes.

25 BOARD MEMBER BALMES: Madam Chairman, I also

1 would like to thank you for bringing this issue up and for  
2 the testimony we heard today about the importance of the  
3 sustainable freight strategy. But I was already  
4 appreciative of staff for having scheduled a January time  
5 slot. I received that notice a few weeks ago.

6 CHAIRPERSON NICHOLS: Oh, well you read your mail  
7 better than I do.

8 BOARD MEMBER BALMES: When it's the future  
9 schedule of our meetings. Got to know what you need to be  
10 ready for.

11 What I would just add to Supervisor Gioia's  
12 comments would be it's important that this came up in the  
13 context of truck regulations, but sustainable freight, as  
14 everyone knows, involves other modes of transportation.  
15 And it's the integration across the different types of  
16 freight transport that I think is important for us to have  
17 a plan.

18 One of the real strengths of the agency's efforts  
19 over the last few years has been the integration of  
20 greenhouse gas control with more traditional air pollution  
21 control efforts. I think we're doing a fabulous job at  
22 that. But we also have to integrate across these  
23 different freight transportation modes.

24 I'll be happy to be in support of the resolution  
25 and even try to put one forward, though I think somebody

1 else may be more succinct than me.

2 CHAIRPERSON NICHOLS: Thank you.

3 Turn to this side. Ms. Mitchell, I'll start with  
4 you.

5 BOARD MEMBER MITCHELL: I will echo my support  
6 also of freight policy. I have been approached by a  
7 number of people. And of course, this is an incredibly  
8 important issue in the South Coast region with the ports  
9 of Long Beach and the ports of L.A.

10 And I know a lot of work is being done in the  
11 state by various agencies in various contexts. And I  
12 think a report back from staff I would like to see how  
13 those efforts integrate with what we are doing.

14 And also another good point that was made is that  
15 freight travels across a lot of different modes. And it's  
16 not just trucks. It's the intermodal yards and the  
17 equipment in those intermodal yards. It's, you know, rail  
18 and, you know, a number of things that are already  
19 underway in looking at new technologies.

20 So I think a report on what's being done, the  
21 technology that's now being employed and the other  
22 agencies that are working on this, it's a big, big subject  
23 and a big task to pull all that together. But I think it  
24 would be useful for the Board to have a look at that,  
25 especially since we have a number of new Board members as

1 well.

2           Would this be the time to comment on the rest of  
3 the items that are before us or do you want too reserve  
4 that?

5           CHAIRPERSON NICHOLS: Why don't we just wrap this  
6 up as an item and get a resolution in place? I don't know  
7 that we need to write it up formally. Our counsel is  
8 telling me no, that the staff understands what the  
9 direction from the Board is. Hang on.

10           Yes?

11           BOARD MEMBER BERG: I would like to make one  
12 comment on the sustainable freight, if you're until making  
13 them.

14           CHAIRPERSON NICHOLS: Oh, yes. On that one,  
15 sure.

16           BOARD MEMBER BERG: So I'm very appreciative also  
17 of this direction and would be in support of a Board  
18 amendment. However, I also would like to comment that  
19 this is very complicated and very vital to the economics  
20 of the state of California.

21           And what is equally vital and what we heard more  
22 than three compelling testimonies is the role of medium  
23 and small businesses in this area. And I'm very pleased  
24 to hear the Chair say that we're really looking at new  
25 vehicles, new direction. But that in doing this, we



1 really, really, really have to bring small and medium size  
2 business to understand the entire freight avenues and  
3 policies and how it's working. Because sometimes we get  
4 lost in the big picture, and the smaller picture that  
5 really keeps the economic engine of the state of  
6 California is struggling. And we just need to make a  
7 commitment to that.

8 CHAIRPERSON NICHOLS: Thank you for that  
9 reminder.

10 BOARD MEMBER SPERLING: So let me just dig a  
11 little more deeply into what I think this might -- this  
12 kind of report or whatever it is, initiative we're talking  
13 about is. I would like to make sure that it does go  
14 beyond some of these narrower technology opportunities,  
15 although those are probably the most important parts of it  
16 in many ways.

17 But the whole concept of logistic sprawl, which  
18 is really a land use issue. I know we don't like to get  
19 into land use issues. But we're working with South Coast  
20 and the local governments. That is a big part.

21 We're seeing a lot more truck VMT happening  
22 because these warehouses and distribution centers are  
23 moving out to the periphery. That's one.

24 We would include last mile issues in this,  
25 meaning how can we get really efficient low carbon, low

1 emissions technology. I mean, I'm not advocating drones  
2 to deliver parcels to houses as Amazon did. But, you  
3 know, maybe that's part of it.

4 BOARD MEMBER GIOIA: We can beam them to houses.  
5 The Star Trek technology. How's that?

6 BOARD MEMBER SPERLING: We need to be looking  
7 forward. There's all the intermodal issues. There's port  
8 issues. There's the new technologies, like the catenary  
9 opportunities.

10 So, you know, echoing what we've heard here, this  
11 really is a time where we need to look at this in a  
12 broader way than is typical. And of course, as we learned  
13 in our sustainable freight workshop six months ago or so,  
14 this really is a partnership with a lot of other agencies.

15 And let me offer one. And one contribution is we  
16 at U.C. Davis together with USC and U.C. Riverside just  
17 won a National Center award from Department of  
18 Transportation to focus on sustainable transportation. I  
19 think you can tap into that Center to help put together  
20 some of these broader approaches.

21 CHAIRPERSON NICHOLS: Thank you.

22 Any additional comments? Yes, just on that item.  
23 And then we have to get to the actual resolutions in front  
24 of us.

25 BOARD MEMBER SHERRIFFS: That was great, that

1 detail.

2           Just emphasize also within that plan how we're  
3 going to do the collaboration and the public input,  
4 because that is so key. And some of the testimony I'm  
5 hearing people having the sense 2010 and done, I can't  
6 believe that really was the message, but I can understand  
7 people potentially having heard that. And so we need to  
8 be really involving broadly.

9           CHAIRPERSON NICHOLS: Thank you.

10           I would just add at the end here that the  
11 importance of logistics to California's economy is not  
12 something that we are alone in recognizing. And the  
13 California Transportation Agency is currently developing a  
14 freight plan for the state of California under direction  
15 from the Governor as is the federal government through a  
16 national freight planning effort. So our work is  
17 important because of our mandate to deal with the air  
18 pollution and greenhouse gases, we have some really  
19 important tools to bring. But we're not alone in this  
20 effort. So it's going to be part of something much larger  
21 and broader.

22           With that, I think we can say that the Board has  
23 given direction to the staff. The staff apparently has  
24 anticipated that direction by scheduling a briefing in  
25 January. Thank you, staff. And we'll move on. But

1 thanks to the community members and groups that brought  
2 this issue forward here today. We now move back to the  
3 items that are actually in front of us.

4 And I think -- Supervisor Roberts, did you have a  
5 comment on any of the specific ones at this point?

6 BOARD MEMBER ROBERTS: No. Well, I was ready to  
7 make a motion.

8 CHAIRPERSON NICHOLS: Okay. We've been asked to  
9 do them separately, given there's some separate issues and  
10 comments on each of them. So why don't we just start with  
11 Resolution 13-50, which is the standards and test  
12 procedures, the Phase I alignment issues there.

13 BOARD MEMBER SHERRIFFS: I would move approval.

14 CHAIRPERSON NICHOLS: We have a motion and a  
15 second. Are there any comments on this particular item?  
16 If not then we'll -- yes.

17 BOARD MEMBER SPERLING: Is this the one that  
18 addresses -- many of the people raised the question about  
19 the sophistication and capabilities of the testing  
20 technologies and protocols. Is that separate from this;  
21 right?

22 CHAIRPERSON NICHOLS: Dr. Ayala, if you just  
23 verify that.

24 DEPUTY EXECUTIVE OFFICER AYALA: I think a lot of  
25 what we heard today about the trade-off in technology is

1 related to the optional low NOx standard. And we can --

2 BOARD MEMBER SPERLING: That's separate. Okay.

3 CHAIRPERSON NICHOLS: Okay. We then have 13-51.

4 BOARD MEMBER ROBERTS: Move approval.

5 CHAIRPERSON NICHOLS: Moved by Supervisor  
6 Roberts.

7 BOARD MEMBER RIORDAN: Second.

8 CHAIRPERSON NICHOLS: Seconded by Mrs. Riordan.  
9 Okay.

10 And are there comments, questions, or any  
11 additional staff input on this one?

12 BOARD MEMBER MITCHELL: I'm wondering which one  
13 contains the idling issue.

14 CHAIRPERSON NICHOLS: The idling issue is --

15 BOARD MEMBER BERG: 13-53.

16 BOARD MEMBER SPERLING: We're doing the  
17 tractor-trailer now.

18 CHAIRPERSON NICHOLS: This one is the  
19 tractor-trailer.

20 BOARD MEMBER SPERLING: I have a question on  
21 that.

22 You know, we've never -- it seems like a good  
23 program. I see lots of trucks using the skirts now, but I  
24 never heard anyone evaluate it. When we first adopted it,  
25 there were a lot of concerns about, you know, everything

1 from the skirts falling off when there's snow storms,  
2 backing around turns to -- all kinds of things and how  
3 much these trailers were really used and how the payback  
4 was really going to be in one year. Have we done -- has  
5 anyone done any evaluation? If we're going to promote  
6 more of this and even get it into the national program, it  
7 seems like we ought to be able to evaluate it.

8 EMISSIONS RESEARCH AND REGULATORY DEVELOPMENT

9 BRANCH CHIEF CARTER: I think one of the reasons why you  
10 haven't heard of any complaints or the skirts falling off  
11 and things like that is because those complaints have gone  
12 away. The program has been actually very, very  
13 successful. We're seeing -- I can't remember the exact  
14 number. But compared to when the program first started,  
15 we were able to evaluate how many skirts were out there,  
16 for example. They were in the few hundreds. Now they're  
17 in the few thousands.

18 Not only that, but the cost of the skirts, for  
19 example, were well over \$2,000 in the beginning. They're  
20 less than \$1,000 now installed. The turn around time is  
21 less than a year. So the program has been very, very  
22 successful.

23 BOARD MEMBER SPERLING: Would it be  
24 appropriate -- here's a case where we actually did  
25 something pioneering and apparently successful. Shouldn't

1 we document -- shouldn't we document it that it really  
2 is -- that our beliefs are really borne out in reality?

3 DEPUTY EXECUTIVE OFFICER AYALA: I think the  
4 opportunity to document it is going to come. As you know,  
5 the National Academy of Sciences has commissioned a  
6 Committee to actually look at potential technologies that  
7 can help us with Phase 2.

8 And I know that one of the principle elements  
9 that they have been studying and will continue to study is  
10 our regulations. So I think the point is well taken.  
11 That's going to be a prime opportunity for us to chime in  
12 and actually highlight what you said it was an incredible  
13 success.

14 BOARD MEMBER SPERLING: But I'm saying real  
15 numbers and real data, because they're not doing that.  
16 They're just talking to us and we're telling them it's  
17 great. They're presumably believing it. But --

18 DEPUTY EXECUTIVE OFFICER AYALA: Well, I'm  
19 interpreting that as direction to staff. We would be  
20 happy to come back and conduct our assessment. Bring back  
21 to you the very good news story related to this regulation  
22 and put some numbers behind us.

23 CHAIRPERSON NICHOLS: Sounds like a good project  
24 for a grad stud at U.C. Davis to me.

25 BOARD MEMBER SPERLING: What a brilliant thought.

1           CHAIRPERSON NICHOLS: I mean, while we're  
2 thinking of who could do this work.

3           BOARD MEMBER ROBERTS: Sounds like we have to add  
4 to the next item.

5           BOARD MEMBER BALMES: I just wanted to make one  
6 clarifying comment to my fellow academic.

7           You had mentioned trailer modifications here,  
8 too, in your initial question to staff. I think we're  
9 only dealing with the tractors here in terms of the  
10 amendment to the tractor-trailer rule, just to be clear.  
11 Trailers will be in the future.

12          BOARD MEMBER SPERLING: I'm fine with what's  
13 being proposed here. I was thinking that, you know, this  
14 was an opportunity to actually affirm that what we're  
15 doing is a good idea.

16          BOARD MEMBER BALMES: I agree with that.

17          CHAIRPERSON NICHOLS: Okay. I think staff has  
18 heard that request and will work -- follow-up perhaps with  
19 some of our friends in academia who might be interested in  
20 assisting us in getting this work done. All right.

21           Any other comments or questions on the  
22 tractor-trailer? This is 13-50. We have a motion and a  
23 second. All in favor please say aye.

24           (Ayes)

25          CHAIRPERSON NICHOLS: Any opposed?



1           Any abstentions? Okay. Great.

2           That brings us to 13-52, which is the optional  
3 reduced emission standard. And this is one that, of  
4 course, we heard quite a lot of comment on, both pro and  
5 con.

6           I think it's a pretty innovative and interesting  
7 approach. I agree that people should be aware of the fact  
8 that it could possibly lead to mandatory standards in the  
9 future. I think the staff has been very clear about that.  
10 But it's a great way to get some real world data and  
11 experience if, in fact, we can come up with sufficient  
12 incentives for people to try it. So it seems to me that's  
13 pretty much of a win-win.

14           BOARD MEMBER RIORDAN: I move approval, Madam  
15 Chair.

16           BOARD MEMBER ROBERTS: Second.

17           CHAIRPERSON NICHOLS: All in favor --

18           BOARD MEMBER MITCHELL: I have a comment. Thank  
19 you.

20           Obviously, I'm very much in support of this. We  
21 need to work toward future NOx emission reductions.

22           But I would suggest that when the Moyer program  
23 comes up for review in a year or so that we look carefully  
24 at that and we look at how those funds might be used in  
25 several different ways. One would be incentives for new

1 technology and testing equipment. We heard there's some  
2 problem with testing at these low levels.

3 Also help for small fleets, because these are the  
4 single owner-operators who probably can't afford to get  
5 into this technology, but we want to encourage them to do  
6 it.

7 Incentives and help for drayage trucks in our  
8 ports and for our intermodal facilities. So I'd like  
9 staff to consider that when Moyer funds come up for  
10 review. Thank you.

11 BOARD MEMBER SPERLING: I wanted to ask a broader  
12 question here. And you know, moving towards these NOx  
13 standards as well as the greenhouse gas we're going to  
14 talk about in a moment is just hugely important. Trucks  
15 lag behind cars by 20 years or more in adopting these  
16 standards. And I think there's lots of new technology,  
17 and we heard that that can be used.

18 The question I have though is the understanding  
19 what we really mean by we talk about -- I guess the words  
20 were laying the groundwork for future mandatory NOx  
21 standards. What authority -- I mean, I guess I should  
22 know this. But what authority do we have to do this? And  
23 under what osmosis would we be doing it?

24 I mean, because this is a really big deal. It's  
25 important to California.

1 SENIOR ATTORNEY WANG: Our authority is governed  
2 by -- we have the California Health and Safety Code give  
3 us the authority to establish emission standards for all  
4 new motor vehicles and all new motor vehicle engines that  
5 are either imported into the state or sold into the state.

6 BOARD MEMBER SPERLING: Is this the same as for  
7 light duty.

8 SENIOR ATTORNEY WANG: This crosses the gamut.  
9 It's both light-duty vehicles and heavy-duty vehicles and  
10 both on- and off-road sources.

11 So your question is limited to the context of  
12 on-road vehicles.

13 We're also directed by the California Clean Air  
14 Act and the Federal Clean Air Act to basically attain and  
15 maintain ambient air quality standards that are necessary  
16 for the protection of the health of our citizens and to  
17 protect the environment.

18 BOARD MEMBER SPERLING: So this is the same  
19 provision where Congress allows us to do standards -- our  
20 own standards for light duty. This is the same authority  
21 and the same provisions for heavy-duty also?

22 SENIOR ATTORNEY WANG: Yes. When you're talking  
23 about the provisions of the Clean Air Act Section 209  
24 basically allow California, as you recognize, to establish  
25 our more stringent standards for on-road motor vehicles.

1 So that's not limited to light duty. It also extends to  
2 heavy.

3 BOARD MEMBER SPERLING: So the distinction here  
4 that I'm really getting at is that trucks cross, you know,  
5 our interstate commerce. We've gotten into difficulty  
6 over this issue in the past. Are we -- do we really think  
7 that we really can do this and it will survive legal  
8 scrutiny?

9 SENIOR ATTORNEY WANG: Well, I think ARB has been  
10 regulating heavy-duty diesel engines since the mid '70s.  
11 It's a -- I think ARB recognizes basically the ability of  
12 trucks to travel across the country. We've established a  
13 number of regulations that apply to trucks and trucking  
14 industries. And as long as our regulations basically  
15 maintain the same requirements on a level playing field,  
16 then we don't foresee any difficulties with the legal  
17 challenges to our regs.

18 CHIEF COUNSEL PETER: Professor Sperling, I  
19 concur with what Mr. Wang just described. It's the same  
20 process where we would have to turn in a request to U.S.  
21 EPA for approval. So once that's approved, it's  
22 incorporated into the Federal Clean Air Act. And people  
23 can raise comments, which could be it's not  
24 technologically feasible or the other comments that you're  
25 raising about interstate commerce. Those would be dealt

1 within the U.S. EPA approval process.

2           Moreover, in terms of reaching outside the state  
3 of California, these only would apply to trucks that drive  
4 in California. So that is the takes care of the  
5 Constitutional issues in our view.

6           BOARD MEMBER SPERLING: We would presumably do  
7 what we did with light duty and hope other states also  
8 adopt it and eventually the Feds.

9           CHIEF COUNSEL PETER: Or the U.S. EPA then adopts  
10 our standards.

11           CHAIRPERSON NICHOLS: Which has happened numerous  
12 times with heavy duty as well as light duty in the past.

13           CHIEF COUNSEL PETER: Right. That's exactly  
14 correct.

15           CHAIRPERSON NICHOLS: Okay. We have a motion and  
16 a second on this one. Can we have a vote? Okay. All in  
17 favor please say aye.

18           (Aye)

19           CHAIRPERSON NICHOLS: Any opposed? Any  
20 abstentions?

21           I erroneously -- and I've been politely corrected  
22 by two of my colleagues -- failed to call for a vote on  
23 13-50, which was the first Resolution, the one that dealt  
24 with the heavy-duty vehicle greenhouse gas emission  
25 standards and test procedures. We had the discussion. We

1 had a motion and second. We never took a vote.

2 May I go back and ask for the Board to please  
3 vote on the very first of these Resolutions. All in favor  
4 please say aye.

5 (Ayes)

6 CHAIRPERSON NICHOLS: Opposed? And abstentions?  
7 Hearing none, this is passed as well.

8 One of these items -- I don't want to skip over  
9 this -- had an issue that was raised by Volvo. Was that  
10 the optional standards issue that we just discussed? And  
11 there was a comment that was filed on that one also that  
12 was written comment. And I believe there was a response  
13 to that. Okay.

14 So we've dealt with any possible challenge as far  
15 as the CEQA compliance is concerned, but I really do want  
16 to express my dismay speaking from the vantage point of  
17 somebody who served on this Board back in the '70s and  
18 early '80s when we were hearing the comments of industry  
19 about how NOx control would make ozone worse and that, you  
20 know, we didn't understand the atmospheric chemistry.

21 The state of California and the federal  
22 government both have spent hundreds of millions of  
23 dollars, if not more, on modeling. We have the best  
24 atmospheric chemistry modeling in the world. Doesn't mean  
25 there isn't more that one could possibly learn.

1           But I just want to be on record as saying this  
2 issue about NOx control and the importance of it for  
3 dealing with long range ozone transport as well as the  
4 impacts of NOx itself on particle formation and so forth  
5 is one that really should have been settled. I'm just  
6 embarrassed as a former long-time Volvo owner to be having  
7 to deal with that issue right now.

8           BOARD MEMBER SPERLING: Different company.

9           CHAIRPERSON NICHOLS: All right. Let's hear  
10 about number three. 53. This is the idling limits. And  
11 the question of making them enforceable. Anybody have any  
12 questions or comments?

13          BOARD MEMBER MITCHELL: I would have a comment.

14          CHAIRPERSON NICHOLS: Yes.

15          BOARD MEMBER MITCHELL: And I have mentioned this  
16 to our staff. But the staff in the proposed regulation  
17 calls out the idling issue in the vicinity of schools,  
18 hotels, and motels. And because that is specifically  
19 called out, I would propose that we add language in the 15  
20 day period that includes hospitals, senior care  
21 facilities, and child care facilities. I think those  
22 institutions represent sensitive receptors that also ought  
23 to be mentioned specifically in the regulation. So I'd  
24 ask for that.

25          CHAIRPERSON NICHOLS: Seems like a good idea.

1 Any concerns about that from staff's perspective?

2 EMISSIONS RESEARCH AND REGULATORY DEVELOPMENT

3 BRANCH CHIEF CARTER: There is no concerns. We will  
4 clarify that to make sure it's in there explicitly?

5 BOARD MEMBER MITCHELL: I agree with the truck  
6 owner responsibility. I know we've had a number of  
7 comments about that. But I think that's an important  
8 thing to include.

9 CHAIRPERSON NICHOLS: I don't see this as  
10 interfering with the ability of a company if they insist  
11 on making their drivers pay. That's between them and the  
12 driver. We're not doing anything to alter that  
13 arrangement.

14 BOARD MEMBER MITCHELL: And they become  
15 accountable because the owner/employer of that truck  
16 driver is accountable for that driver's behavior as well.  
17 So I think it's a fair process.

18 CHAIRPERSON NICHOLS: Okay. That's a motion.  
19 I'll take that as a motion.

20 BOARD MEMBER MITCHELL: Yes.

21 BOARD MEMBER SHERRIFFS: I did have a question.  
22 It sounded like this is different than the way a speeding  
23 ticket or a red light violation is handled. I want to get  
24 a little more clarity.

25 EMISSIONS RESEARCH AND REGULATORY DEVELOPMENT



1 BRANCH CHIEF CARTER: Only because with the speeding  
2 tickets it's easier to pinpoint who was at fault.

3 BOARD MEMBER SHERRIFFS: But the red light  
4 probably is the better corollary example of, well, who was  
5 driving.

6 EMISSIONS RESEARCH AND REGULATORY DEVELOPMENT

7 BRANCH CHIEF CARTER: It's not perfect. But it's  
8 certainly a lot better than what we had before where we  
9 weren't getting any -- we weren't getting a significant  
10 number of the citations closed.

11 BOARD MEMBER SHERRIFFS: But this is like the red  
12 light. Where does the ticket go? It goes to the truck  
13 owner, doesn't it?

14 CHAIRPERSON NICHOLS: You mean if you're caught  
15 by a camera at the light, it's whoever is the registered  
16 owner is.

17 BOARD MEMBER SHERRIFFS: It doesn't tell you who  
18 the owner is. It just tells you who the driver is. Just  
19 tells you the license plate. This is on par parallel to  
20 that process.

21 EMISSIONS RESEARCH AND REGULATORY DEVELOPMENT

22 BRANCH CHIEF CARTER: Yes.

23 CHAIRPERSON NICHOLS: Motion by Mr. Mitchell and  
24 a second by Mr. Sherriffs. Call a vote on this one.

25 BOARD MEMBER BERG: I have a comment.

1           CHAIRPERSON NICHOLS: Go ahead. As a truck  
2 owner.

3           BOARD MEMBER BERG: As a truck owner. I think we  
4 have to be careful that in the state of California the law  
5 is governing what you can force employees to pay and what  
6 you can't. It's very clear. So I don't think we can be  
7 cavalier to believe that owners can tell employees, well,  
8 they can pay certain things. For example, it is company's  
9 responsibilities for placarding and for other things  
10 within their trucks that are -- employees have  
11 responsibilities to do. And when they don't do that, the  
12 companies do have the responsibility for paying the ticket  
13 and you cannot legally be charging your employees for  
14 these violations.

15           That said, I do agree that enforcement is very  
16 important. And where an owner has authority over who  
17 drives -- and we certainly have authority over people's  
18 employment, I don't like -- I don't like that we are at  
19 this position, but I don't think we legally have any other  
20 options that I can figure out.

21           Where I am concerned is where there's owner  
22 responsibility who the driver is self-employed and they  
23 are not the employee. And in those cases, I think if  
24 there is a contract in place, that clearly defines that it  
25 is the driver's responsibility, I don't think that the

1 owner should have to pay for the ticket. They wouldn't  
2 have to pay for any other violation.

3 And so am I misunderstanding what we're trying to  
4 do? I'd like clarification on that.

5 EMISSIONS RESEARCH AND REGULATORY DEVELOPMENT  
6 BRANCH CHIEF CARTER: Maybe Stephan can help me with this  
7 one.

8 In all the cases, it will be -- most cases, it  
9 will be on a case by case basis because -- just because of  
10 the scenario you just laid out. There are situations  
11 where it might be clear that it may not be the owner's  
12 problem or fault. It may be strictly the driver. So our  
13 enforcement team would have the assess that.

14 BOARD MEMBER BERG: But that will be clear,  
15 because being on the side of having enforcement actions  
16 and sitting across the table to negotiate these things, is  
17 this a case by case that it's very clear? Or is this a  
18 case by case that we can say, I'm sorry, you're still  
19 responsible because we had passed this amendment?

20 EMISSIONS RESEARCH AND REGULATORY DEVELOPMENT  
21 BRANCH CHIEF CARTER: I can't answer that. Because as we  
22 just said, it's on a case by case. So I imagine there are  
23 cases that aren't very obvious, very clear who was at  
24 fault.

25 CHAIRPERSON NICHOLS: Can I be clear about this?

1 Because now you've confused me. I thought my statement  
2 was actually not to be flippant about who's responsible,  
3 but to say this regulation does nothing to change existing  
4 law about who is responsible for paying tickets. It is  
5 whatever the law is. Whether it's statutory or  
6 contractual between the owner and the driver, this  
7 regulation doesn't change it. It just gives us the  
8 ability to add another party who we can find to the  
9 enforcement chain. If I'm wrong about that, I need that  
10 clarified here by our attorneys.

11 BOARD MEMBER BERG: That's very helpful.

12 CHIEF COUNSEL PETER: I think what we're focusing  
13 on here is the facts that were set out by the Program  
14 staff. One of the concerns is that the driver is asleep.  
15 When you're having a speeding ticket, that obviously would  
16 not occur. You don't know who the person is.

17 So what they do is they post the ticket on the  
18 windshield. And then it's not responded to. And then the  
19 question is, who do you go back against?

20 And we can go back and check the wording of this  
21 after -- before it's finalized and sent to Office of  
22 Administrative Law. The way I was interpreting it and  
23 we'll check to make sure it's written this way, is that  
24 the notice then would go to the trucking company and then  
25 they would say this is -- this basically based on the

1 license number, this belongs to you.

2 At that point, the trucking company can then say,  
3 oh, the driver was X. See that's the part we don't have  
4 that hook right now. And then they would be dually  
5 obligated. If the company had the position that they are  
6 not allowed to do that or they have a contract to do that,  
7 that would be something that would be presented in the  
8 discussion about who is ultimately liable.

9 We would never collect from two different people,  
10 for example. There was a concern about three tickets  
11 floating around. We're not interested in making money.  
12 We have a gap right here where we don't know who's  
13 sleeping in the sleeper cab. But that was my  
14 understanding. We'll go back and check that. And we'll  
15 have to propose 15-day amendments if there is any  
16 ambiguity on that.

17 BOARD MEMBER BERG: Thank you very much. I'm  
18 comfortable with that.

19 CHAIRPERSON NICHOLS: Any other question or  
20 comments?

21 All right. Then we have -- we don't have a  
22 motion. We don't have a motion and a second.

23 BOARD MEMBER BERG: I think we do have a motion.

24 BOARD MEMBER MITCHELL: I made the motion.

25 CHAIRPERSON NICHOLS: You raised the question at

1 the very end. I apologize. We then went on to have  
2 further discussion. Got it.

3 So we are now ready to bring this back for a  
4 vote. All those in favor please say aye.

5 (Ayes)

6 CHAIRPERSON NICHOLS: Opposed? Abstentions?  
7 Okay.

8 Great. I think we are now at Resolution 13-54.

9 BOARD MEMBER RIORDAN: I move approval, Madam  
10 Chair.

11 BOARD MEMBER BALMES: Second.

12 CHAIRPERSON NICHOLS: This is the certification  
13 procedures. The staff has already indicated they're going  
14 to be working with the industry representative who was  
15 here to make this workable. So I don't think we have any  
16 further issues.

17 All in favor please say aye.

18 (Ayes)

19 CHAIRPERSON NICHOLS: Any opposed?

20 Any abstentions? Great.

21 Okay. This was more complicated than usual. It  
22 was a test of my paper shuffling skills, which I have to  
23 say need improvement. So maybe next time we can get tabs  
24 or something. Anyway, this is really good. And it's nice  
25 to have this set of amendments done and to be able to move

1 on next year to the larger issues of a freight system.

2 Thank you all very much.

3 We have one more item on the agenda today, which  
4 is our research plan. We'll just shift personnel here.

5 The last item on today's agenda is consideration  
6 of ARB's proposed research for fiscal year 2014, 2015.

7 The annual research plan supports ARB's air quality  
8 planning efforts, helps us with our regulatory decision  
9 making, advances efforts to meet the Global Warming  
10 Solutions Act, as well as state implementation plans and  
11 other legal requirements, and facilitates important  
12 collaborations with other research funding organizations.

13 Mr. Corey, do you want to introduce this item?

14 DEPUTY EXECUTIVE OFFICER COREY: Yes. Thank you,  
15 Chairman Nichols.

16 There are 14 projects in this year's research  
17 planning being recommended for funding. The list of  
18 proposed projects was developed from a public solicitation  
19 of research ideas supplemented by extensive discussions  
20 with ARB program staff and other State and federal  
21 agencies.

22 The proposed research projects support ARB's  
23 regulatory priorities in three key areas: Health, air  
24 pollution, and climate change. If approved by the Board,  
25 the projects described in the research plan will be

1 developed into full proposals and then brought back to the  
2 Board for your final approval over the next several  
3 months.

4           With that, I'd like to introduce Sarah Pittiglio  
5 of the Research Division, who will describe this year's  
6 proposed research studies. Sarah.

7           (Thereupon an overhead presentation was  
8 presented as follows.)

9           AIR POLLUTION SPECIALIST PITTIGLIO: Thank you,  
10 Mr. Corey.

11           Good morning, Chairman Nichols and members of the  
12 Board.

13   --o0o--

14           AIR POLLUTION SPECIALIST PITTIGLIO: Today, we  
15 will be asking the Board to approve the proposed 2014-15  
16 research plan. \$5.3 million is requested to fund 14  
17 research projects that will support the Board's decision  
18 making for key policies and programs.

19           If the plan is approved today, staff will work  
20 with researchers over the next few months to develop  
21 projects into full proposals. We will then take proposals  
22 to the Board's Research Screening Committee for review,  
23 before returning to the Board to request approval and  
24 funding for each research project.

25   --o0o--



1           AIR POLLUTION SPECIALIST PITTIGLIO:   ARB's  
2   Research Program will continue to play an important role  
3   in meeting the challenges of increasingly stringent  
4   federal air quality standards and long-term climate goals.

5           The projects included in this research plan will  
6   improve ARB's ability to meet and demonstrate compliance  
7   with lower PM2.5 and ozone standards and to achieve  
8   greenhouse gas emission reductions consistent with climate  
9   goals through 2050.

10                           --o0o--

11           AIR POLLUTION SPECIALIST PITTIGLIO:   For this  
12   year's research plan, ARB staff collected project concepts  
13   from across ARB's divisions to identify and prioritize  
14   research to support the agency's most pressing program  
15   needs.

16           Research concepts were also collected from an  
17   open, public solicitation. Staff will release a  
18   solicitation for draft proposals, which will target the  
19   University of California and California State University  
20   systems.

21                           --o0o--

22           AIR POLLUTION SPECIALIST PITTIGLIO:   This year's  
23   research plan reflects ongoing coordination with federal  
24   and State agencies and will leverage multi-million dollar  
25   funding commitments from NASA, the National Institute of

1 Science and Technology, the California Energy Commission,  
2 the California Department of Food and Agriculture, and  
3 U.S. EPA to study California's air quality and greenhouse  
4 gas emissions.

5 We are also coordinating with the U.S. Department  
6 of Transportation on projects related to SB 375 and the  
7 mid-term review of ARB's Advanced Clean Cars Program.  
8 Continued coordination with the State and federal agencies  
9 enables ARB to participate in projects and studies outside  
10 the reach of ARB's research budget alone.

11 --o0o--

12 AIR POLLUTION SPECIALIST PITTIGLIO: This  
13 research plan proposals funding projects in three ARB's  
14 key program areas. Funds will be used to address research  
15 needs related to health, air quality, and climate change.

16 --o0o--

17 AIR POLLUTION SPECIALIST PITTIGLIO: ARB's health  
18 effects research has helped contribute to the scientific  
19 basis for the development of State and national ambient  
20 air quality standards. The program also investigates  
21 emerging toxicological issues as they relate to public  
22 health and quantifies the health benefits of ARB  
23 regulations.

24 --o0o--

25 AIR POLLUTION SPECIALIST PITTIGLIO: This diagram

1 illustrates selected components of ARB's health Research  
2 Program. One components of ARB's health research seeks to  
3 characterize the health effects of exposure to air  
4 pollution. Single pollutant studies have demonstrated the  
5 negative health impacts associated with exposure to PM2.5  
6 and ozone and have been essential to the process of  
7 establishing health protective levels for national ambient  
8 air quality standards. In this year's research plan, we  
9 intend to focus on the potential health impacts of ultra  
10 fine particles.

11 ARB's exposure assessment work examines the level  
12 have exposure to air pollution in homes, schools, in  
13 vehicles, and in urban settings. Findings from past  
14 studies have supported many ARB programs and legislation.  
15 Current research in the health program is focused on  
16 mitigation research that aims to develop strategies to  
17 reduce exposure to air toxics in multiple settings. We  
18 will hear more about this topic at a Board motoring this  
19 summer.

20 --o0o--

21 AIR POLLUTION SPECIALIST PITTIGLIO: This year's  
22 proposed health research project cover the topics of  
23 health effects of ultra fine particles, toxicity testing,  
24 and indoor air exposure.

25 --o0o--

1           AIR POLLUTION SPECIALIST PITTIGLIO: One health  
2 research emphasis for this fiscal year is to better  
3 understand the health impacts of ultra fine particulate  
4 matter. Ultra fine particles are defined as being less  
5 than 100 nanometers in diameter and come from tailpipe  
6 emissions from a number of other sources.

7           While there is a large body of literature showing  
8 that PM2.5 is associated with premature death, no  
9 comprehensive epidemiological study exists that could help  
10 determine safe levels of ultra fines. However, some  
11 published research suggests that there may be a health  
12 risk with the number of ultra fine particles independent  
13 from that known for PM2.5 mass.

14           Studies on inhaled ultra fines show that they can  
15 deposit in multiple organs throughout the body and can  
16 lead to increased levels of inflammatory markers in the  
17 brain. Although some ultra fine epidemiological studies  
18 have been published, the results are inconsistent and the  
19 studies lack adequate exposure assessment at the regional  
20 level.

21           Initial studies by ARB, U.S. EPA, and others on  
22 the health effects of ultra fine exposure have shed light  
23 on the potential mechanisms and pathways by which these  
24 particles can effect human health, including  
25 cardiovascular effects. The first two proposed health

1 studies have been developed to help fill the research gaps  
2 associated with the effects of exposure to ultra fine  
3 particles.

4 --o0o--

5 AIR POLLUTION SPECIALIST PITTIGLIO: The first  
6 project on ultra fines will fill the need for a sound  
7 epidemiological study on the health effects of long term  
8 exposure to ultra fine particulate matter and focus on the  
9 risk of premature death.

10 This research proposal will address the strong  
11 spatial gradients of ultra fine particles concentrations  
12 by using a combination of modeling and air monitoring at  
13 the regional level. These measurements and models of  
14 ambient concentrations of ultra fines will be paired with  
15 an existing cohort that was funded by the U.S. EPA through  
16 a research grant to U.C. Davis to calculate the estimated  
17 risk of premature death associated with exposure to ultra  
18 fine particulate matter.

19 Results from this research project are expected  
20 to lead to a clearer understanding of the health effects  
21 of exposure to ultra fines, including health risk at  
22 ambient air concentrations.

23 --o0o--

24 AIR POLLUTION SPECIALIST PITTIGLIO: The second  
25 ultra fine research project will determine whether

1 long-term exposure to ultra fines is associated with the  
2 development of neurodegenerative processes and related  
3 cognitive deficits.

4           Emerging evidence suggests that environmental  
5 factors, including exposure to air pollutants such as  
6 ultra fines, may play a role in neurodegenerative diseases  
7 such as Alzheimer's and Parkinson's. Results will help  
8 determine if exposure to ultra fines causes adverse  
9 changes in cognitive function and whether exposure  
10 activates the central nervous system's immune response,  
11 which is believed to be in early stage in the neuro  
12 degenerative process.

13                           --o0o--

14           AIR POLLUTION SPECIALIST PITTIGLIO: The next  
15 proposed project will develop a recommended standard  
16 operating protocol for PM2.5 toxicological assays used as  
17 a screening tool for assessing relative health risks of  
18 engine technologies and fuels.

19           Standard toxicological assays of PM2.5 emissions  
20 have been used as a screen by ARB as one method of  
21 ensuring that no unintended adverse health effects result  
22 as new engine technologies and fuels come into use. While  
23 these assays are based on established procedures in the  
24 literature, there is no standard protocol for sample  
25 preparation for these assays.

1           This study will provide a standard methodology  
2 for toxicity testing and improve our ability to compare  
3 results from different studies and ensure consistent and  
4 accurate emission testing.

5                           --o0o--

6           AIR POLLUTION SPECIALIST PITTIGLIO: Formaldehyde  
7 is a toxic air contaminant which poses a risk of cancer  
8 and other adverse health impacts. This study will collect  
9 data on how much fiberglass particle filters contribute to  
10 indoor formaldehyde concentrations across a range of  
11 humidity levels and other conditions typical of California  
12 homes.

13           Results from this study will help inform decision  
14 makers about whether synthetic and other formaldehyde-free  
15 filters are a part of the solution to reduce indoor  
16 formaldehyde exposures and inform revisions to  
17 California's building code.

18                           --o0o--

19           AIR POLLUTION SPECIALIST PITTIGLIO: As part of  
20 the Board's ongoing effort to improve California's air  
21 quality, ARB will continue to fund research to support  
22 State Implementation Plans, also referred to as SIPS.  
23 ARB's air quality research provides real world feedback to  
24 identify sources of air pollution and how they can be  
25 addressed by regulations. As air quality standards are

1 tightened and emissions change over time, previously  
2 unrecognized or poorly understood emission sources need to  
3 be evaluated.

4 --o0o--

5 AIR POLLUTION SPECIALIST PITTIGLIO: This year's  
6 proposed air quality research projects cover the topics of  
7 atmospheric science and vehicle emissions.

8 --o0o--

9 AIR POLLUTION SPECIALIST PITTIGLIO: Past and  
10 ongoing research in the area of atmospheric science has  
11 focused on the causes of and solutions to ozone and PM2.5  
12 non-attainment in the San Joaquin Valley, South Coast, and  
13 other air basins.

14 CalNEXT 2010 is one of ARB's most important field  
15 studies that collect data that is required to develop  
16 robust models. The study employed two monitoring sites,  
17 multiple aircraft, and a research vessel that collected  
18 measurements on greenhouse gases, ozone, aerosol  
19 precursors.

20 The study was designed by staff from ARB and the  
21 National Oceanic and Atmospheric Administration to answer  
22 policy relevant science questions on air quality and  
23 climate in California. The synthesis report of the  
24 findings from the 2010 field study will be presented to  
25 the Board in the spring of 2014.



1           This year's projects on atmospheric science are  
2 focused on improving atmospheric modeling for SIP  
3 development. There are two proposed projects to improve  
4 aspects of ozone and particulate matter modeling for the  
5 San Joaquin Valley.

6                           --o0o--

7           AIR POLLUTION SPECIALIST PITTIGLIO: The first  
8 atmospheric science research project is focused on  
9 improving ozone models in the San Joaquin Valley by  
10 collecting vertical profiles of ozone concentrations.  
11 This picture depicts the variability of ozone  
12 concentrations in the vertical direction over the Los  
13 Angeles basin.

14                           --o0o--

15           AIR POLLUTION SPECIALIST PITTIGLIO: Collecting  
16 measurements in the San Joaquin Valley is essential to  
17 assess the atmospheric chemistry and impacts of ozone and  
18 its precursors in that air basin. This is because the  
19 extent to which ozone and its precursors above the  
20 traditional surface monitoring network, mix down after  
21 sunrise and kick start ozone formation on days with high  
22 concentrations is currently unclear. Results from this  
23 research project will improve ozone modeling for the SIP.

24                           --o0o--

25           AIR POLLUTION SPECIALIST PITTIGLIO: The second

1 air quality project will further the understanding of the  
2 formation processes, sources, and composition of PM2.5 in  
3 the San Joaquin Valley and be used to update ARB's SIP  
4 modeling.

5 This project will investigate the physical and  
6 chemical processes that led to high PM2.5 concentrations  
7 in the valley during NASA's Discover AQ field study in the  
8 winter of 2013. The study collected data from multiple  
9 flights during two high PM2.5 episodes. Analysis of this  
10 data will enhance the understanding of PM2.5 formation in  
11 the San Joaquin Valley and will provide updated  
12 information on the use in SIP modeling for the revised  
13 annual PM2.5 standard adopted by U.S. EPA in 2012.

14 --oOo--

15 AIR POLLUTION SPECIALIST PITTIGLIO: Now I will  
16 turn to this year's planned vehicle emissions research.

17 The goal of the Vehicle Emission Research Program  
18 is to support ARB's efforts to attain national ambient air  
19 quality standards and develop regulations that reduce  
20 emissions of pollutants to the atmosphere and public  
21 health. Past research has demonstrated the efficacy of  
22 emission control technologies to meet new low NOx  
23 standards.

24 Current research on NOx control is focused on  
25 measuring the durability of these technologies and the

1 real world effect of our major in-use diesel rules, such  
2 as the truck and bus rule. On-road measurement studies,  
3 using multiple measurements methods are showing these  
4 policies are resulting in the expected emission  
5 reductions.

6 Additional research to support regulatory efforts  
7 is demonstrating the ability of new CNG and diesel to  
8 achieve further NOx reductions. Current research supports  
9 the mid-term review for reduced PM emissions from the  
10 Advanced Clean Car Program. This year, two research  
11 projects are proposed to evaluate the adequacy of existing  
12 emission standards for NOx and PM.

13 --o0o--

14 AIR POLLUTION SPECIALIST PITTIGLIO: In 2011,  
15 mobile diesel off-road engines became subject to  
16 regulations that require compliance with stringent diesel  
17 particulate matter and NOx exhaust standards based on the  
18 use of advanced aftertreatment technologies that limit the  
19 emissions of these toxic pollutants. However, small  
20 off-road diesel engines, such as loaders, tractors, pumps,  
21 compressors, generators, and refrigeration units are  
22 allowed to certify to less stringent emission standards.  
23 The reason for the adoption of less stringent emission  
24 standards for small off-road equipment is that advanced  
25 aftertreatment was estimated to be much more costly than



1 is a participant in federally administered programs that  
2 allow manufacturers to certify some engine families to  
3 less stringent standards, as long as the manufacturer  
4 certifies enough engines below the more stringent current  
5 standard to ensure that its entire fleet average is at or  
6 about below Tier 4 levels. However, because these  
7 programs are administered on a national level, it is  
8 likely that some states, or some regions within a state,  
9 may receive a disproportionate share of higher emitting  
10 engines.

11           Currently, there is no way to evaluate the  
12 distribution of higher emitting engines from these federal  
13 programs within California. California's extreme ozone  
14 non-attainment areas need the full benefits of Tier 4  
15 engines, making it essential to understand the impact of  
16 the federal averaging and flexibility provisions in those  
17 areas.

18                           --o0o--

19           AIR POLLUTION SPECIALIST PITTIGLIO: This  
20 proposed research project will identify regions in  
21 California where the higher emitting engines have been  
22 located and determine whether California has received more  
23 than a proportionate share of such engines. The study  
24 will identify and quantify the number of sites, such as  
25 landfills, construction sites, or mining operations, where

1 higher emitting engines are prevalent. Results from this  
2 study will identify possible options for ensuring that  
3 certain regions of California do not receive more than  
4 their proportionate share of higher-emitting diesel  
5 engines under these programs, including federal action or  
6 ARB regulation.

7 --o0o--

8 AIR POLLUTION SPECIALIST PITTIGLIO: Now we'll  
9 turn to ARB's climate change research, which began with an  
10 estimation of the effects of climate change on public  
11 health and the economy and has helped identify cap and  
12 trade options.

13 The Research Program has expanded its climate  
14 research to include sources and potential mitigation  
15 strategies for greenhouse gases. These research efforts  
16 have led directly to some of the regulations and programs  
17 now in place to meet the 2020 greenhouse gas emission  
18 goals of AB 32.

19 --o0o--

20 AIR POLLUTION SPECIALIST PITTIGLIO: This year's  
21 climate change research project covers the topics of  
22 transportation and technology and infrastructure and  
23 short-lived climate pollutants and nitrous oxide.

24 --o0o--

25 AIR POLLUTION SPECIALIST PITTIGLIO: The goal of

1 the Transportation and Research Program is to provide  
2 research results to help California achieve its greenhouse  
3 gas reduction goals through multiple programs, such as the  
4 GHG rule, advanced clean cars, and the low carbon fuel  
5 standard.

6 A portion of ARB's transportation research is  
7 focused on the development of technology and  
8 infrastructure to reduce greenhouse gas emissions from the  
9 transportation sector. For example, a current research is  
10 supporting the low carbon fuel standard by investigating  
11 the capacity for the commercial production of renewable  
12 natural gas and drop-in fuels in California.

13 Additional research aims to quantify and identify  
14 barriers to adoption and use of advanced transportation  
15 technologies. For instance, research to support the  
16 Advanced Clean Cars Program will examine consumer response  
17 to ZEVs, purchase decisions, how ZEVs are used, and  
18 compliance strategies. Research in these areas is being  
19 coordinated with the U.S. EPA, the U.S. Department of  
20 Energy, and the National Highway Traffic Safety  
21 Administration. Finally, information on the benefits and  
22 impacts of the use of these technologies is monitored to  
23 determine if additional technology is needed.

24 Current research on this topic is examining  
25 strategies to promote the State goal of social equity in

1 integrated regional plans that address transportation,  
2 land use, and housing patterns.

3 Projects proposed for this year's plan will focus  
4 on reducing technology and infrastructure in the  
5 heavy-duty sector, as well as information to support the  
6 Advanced Clean Car Program.

7 --o0o--

8 AIR POLLUTION SPECIALIST PITTIGLIO: ARB's  
9 tractor-trailer GHG regulation requires 53 foot and longer  
10 box-type trailers traveling in California to be equipped  
11 with aerodynamic technologies. Examples of these  
12 technologies include side skirts, rear trailer fairings,  
13 undertray devices, and low rolling resistance tires, which  
14 result in improved fuel economy and reduced GHG emissions  
15 from the heavy-duty tractors that pull them.

16 This slide provides some examples of trucks with  
17 these types of technologies on 53-foot trailers.

18 --o0o--

19 AIR POLLUTION SPECIALIST PITTIGLIO: These are  
20 examples of exempt trailers that are less than 53 feet.  
21 Additional work is needed to see if the aerodynamics of  
22 exempted trailers that spend less time on the highways can  
23 be improved as well and if those improvements would lead  
24 to a significant GHG emission reductions.

25 The annual vehicle miles traveled for non-53 foot



1 box-type trailers is about one-third of that accrued by  
2 all tractor-trailer combinations, which is clearly  
3 significant.

4 --o0o--

5 AIR POLLUTION SPECIALIST PITTIGLIO: In this  
6 proposed research project, the investigators will conduct  
7 wind tunnel testing of each exempt trailer type to  
8 evaluate the impact on tractor fuel consumption due to the  
9 installation of the trailer aerodynamic technologies.  
10 This project will provide information that would be used  
11 by ARB staff to assess the potential GHG emission benefits  
12 from improved trailer aerodynamics on heavy-duty tractors  
13 pulling trailers that are exempted from the GHG  
14 regulation.

15 --o0o--

16 AIR POLLUTION SPECIALIST PITTIGLIO: ARB's  
17 Advanced Clean Cars Program will provide long term,  
18 substantial emission reductions from light-duty vehicles  
19 consistent with the Clean Air Act deadlines and climate  
20 goals.

21 This project will determine the long-term  
22 emission benefits of plug-in electric vehicles based on  
23 the dynamics of these vehicles in the secondary market.  
24 While manufacture compliance with the Zero Emission  
25 Vehicle Program is based on new vehicle sales, the

1 expected emissions benefits will require that these  
2 vehicles, including plug-in electric vehicles, remain in  
3 the fleet past the first owner.

4           The results of this study will be useful to  
5 refine long-term projections of emission benefits from  
6 plug-in electric vehicles, and to inform future policy  
7 decisions beginning in 2016 on the treatment of these  
8 vehicles by various ARB programs, such as incentives,  
9 durability requirements, and vehicle crediting.

10                   --o0o--

11           AIR POLLUTION SPECIALIST PITTIGLIO: This  
12 proposed project will investigate how the near-term  
13 development of natural gas infrastructure in the heavy  
14 duty transportation sector can be implemented to include  
15 technology that can be best facilitate the long-term  
16 conversion to near zero technology.

17           The role of policies and incentives that  
18 encourage the use of infrastructure that can accommodate  
19 both natural gas and alternative fuels, such as hydrogen,  
20 will be explored.

21           The investigation will focus on infrastructure  
22 for medium- and heavy-duty fleets with a focus that  
23 includes potential synergies with light-duty  
24 infrastructure.

25           The results will provide information on a

1 seamless transition to low carbon fuels, improve the  
2 implementation of the low carbon fuel standard, and  
3 benefit California consumers.

4 --o0o--

5 AIR POLLUTION SPECIALIST PITTIGLIO: This  
6 proposed project will analyze novel well-to-wheel pathways  
7 for the delivery of hydrogen fuel in the medium- and  
8 heavy-duty sector and assess the criteria pollutant and  
9 greenhouse gas emissions associated with each pathway.

10 The project will provide different cost and  
11 technology constraints for these pathways, as well as how  
12 that fits into the use of current natural gas  
13 transportation pathways.

14 Potential markets for hydrogen outside of the  
15 vehicle fuel sector will also be identified to ensure a  
16 more rigorous and sustainable market. Results from this  
17 project will support the implementation of the low carbon  
18 fuel standard and hopefully bolster the viability of the  
19 hydrogen market.

20 --o0o--

21 AIR POLLUTION SPECIALIST PITTIGLIO: The Research  
22 Program's focus on the short-lived climate pollutants and  
23 nitrous oxide aim to improve emission estimates, verify  
24 emission reductions over time, and develop emission  
25 reduction strategies.

1 Over the past five years, ARB has inventoried  
2 California's sources of these gases. ARB's monitoring  
3 research demonstrates a 90 percent reduction in black  
4 carbon, which accounted for a significant decrease in  
5 atmospheric heating in California. Several research  
6 projects on refrigerants and other hydrofluorocarbons  
7 highlighted the importance and cost effectiveness of  
8 reducing these emissions, and led directly to the adoption  
9 of rules to reduce them from a number of mobile and  
10 stationary sources.

11 Research also led to the adoption of a protocol  
12 to provide incentives to recover and destroy  
13 ozone-depleting substances as part of the Cap and Trade  
14 Program.

15 Using California's existing greenhouse gas  
16 monitoring network and mobile monitoring platforms, ARB is  
17 currently investigating the sources and trends of methane  
18 and NO2 emissions in California to improve the inventory  
19 of these gases. The Board will be provided with an update  
20 on our efforts in the fall.

21 This year's proposed research will build on  
22 previous work by improving model of N2O emissions and  
23 determining climate forcing from brown Carbon.

24 --o0o--

25 AIR POLLUTION SPECIALIST PITTIGLIO: Black and

1 organic carbon particles are abundant in the atmosphere  
2 and absorb in scatter light. Previous ARB funded research  
3 has quantified the climate forcing from black carbon in  
4 California. However, little has been done on the organic  
5 carbon portion.

6 A fraction of organic carbon absorbs sunlight,  
7 leading to atmospheric heating. This portion is referred  
8 to as brown carbon, because of its brown or yellow color.  
9 Primary sources are thought to be from biomass burning.  
10 Secondary organic particles formed in the atmosphere may  
11 provide another source of brown carbon.

12 The heating effect of brown carbon is not  
13 currently included in climate models. Therefore, this  
14 project will identify and characterize the contribution of  
15 brown carbon the air quality and climate forcing in  
16 California in order to improve these climate models.

17 The results will help us to determine the climate  
18 benefits of the ongoing mitigation of brown carbon  
19 emission sources in California, as well as providing  
20 information that can be used to improve global climate  
21 models.

22 --o0o--

23 AIR POLLUTION SPECIALIST PITTIGLIO: This project  
24 will develop and deliver a modeling tool that will  
25 quantify the potential emission reductions from various

1 N2O mitigation strategies that have been identified  
2 through previous research sponsored by ARB, the California  
3 Department of Food and Agriculture, and the California  
4 Energy Commission.

5 N2O contributes about 15 million metric tons of  
6 CO2 equivalent or three percent of the California  
7 greenhouse gas inventory. The majority of N2O in  
8 California is produced by microbial-driven processes in  
9 the environment. The fluxes in N2O from soil are highly  
10 variable, both spatially and temporally. Process-based  
11 models are useful in capturing this variability.

12 The ability to quantify N2O emissions under a  
13 variety of management practices will help identify  
14 effective mitigation measures to reduce emissions.

15 --o0o--

16 AIR POLLUTION SPECIALIST PITTIGLIO: If the  
17 2014-15 Research Plan is approved today, staff will work  
18 with our research partners to bring full proposals in the  
19 Research Screening Committee. Then we will return to the  
20 Board to request approval and funding for each project.

21 We recommend that you approve the 2014-15 annual  
22 research plan.

23 CHAIRPERSON NICHOLS: All right. Thank you very  
24 much.

25 Does the Board have any questions about any of

1 the specifics or about the overall proposal?

2 Dr. Sherriffs.

3 BOARD MEMBER SHERRIFFS: Thank you. Appreciate  
4 that.

5 About \$500,000 of this is devoted to atmospheric  
6 research in the San Joaquin Valley, which I think is very  
7 important. Appreciate that. Essential to what we try to  
8 accomplish in the valley.

9 What's the applicability of that research to  
10 other basins, other any thoughts on that?

11 RESEARCH DIVISION CHIEF CROES: Bart Croes from  
12 the Research Division.

13 These projects take advantage of specific  
14 measurements made in the valley. And I think the  
15 understanding of the physical and chemical processes that  
16 form PM2.5 will really inform chemical and photochemical  
17 models that are used in all air basins.

18 CHAIRPERSON NICHOLS: Okay. Other questions?  
19 Comments?

20 Yes, Ms. Berg.

21 BOARD MEMBER BERG: Thank you very much. That  
22 was a great presentation. It was long, and you did a  
23 great job.

24 On the plug-in electric vehicles in the secondary  
25 market, I agree that this is going to become more and more

1 vital information.

2 But my question is we're still struggling in the  
3 primary market of how we're dealing with some of these  
4 things. And looking back on some of the incentive  
5 conversations we've had with this Board where we seem to  
6 not have the data we need for that information, do we have  
7 current research projects going on for the primary market?

8 RESEARCH DIVISION CHIEF CROES: Yes, in prior  
9 research plans, we did adopt projects to have in primary  
10 markets.

11 BOARD MEMBER BERG: When will we be having some  
12 of that data?

13 RESEARCH DIVISION CHIEF CROES: All of these  
14 projects are aimed to be completed in 2015 and '16 in time  
15 for the review.

16 BOARD MEMBER BERT: But the prior, the ones on  
17 the --

18 RESEARCH DIVISION CHIEF CROES: Right, on the  
19 prior ones.

20 BOARD MEMBER BERG: They'll be done in '15 and  
21 '16?

22 RESEARCH DIVISION CHIEF CROES: Right.

23 BOARD MEMBER BERG: In time are for our mid-term  
24 review?

25 RESEARCH DIVISION CHIEF CROES: That's correct.



1 BOARD MEMBER BERG: Thank you.

2 CHAIRPERSON NICHOLS: I have to say these are  
3 among the most focused and targeted research proposals  
4 I've ever seen coming out of our program. And I think  
5 that's helpful.

6 Of course, we want to be supporting basic  
7 research and real science I guess as opposed to you know  
8 just doing reg development through the Research Program.  
9 But there's such a gap between what we know and what we  
10 need to know for really moving ahead on some of the more  
11 novel areas that we're in right now that I think we have  
12 to use our money very strategically. This is quite an  
13 impressive list of proposals.

14 We do have two people who asked to testify.  
15 First is Jerilyn Lopez Mendoza and the second is Mike  
16 Tunnell.

17 MS. MENDOZA: It is 15 to go still morning. So  
18 good morning, again.

19 Jerilyn Lopez Mendoza of the Southern California  
20 Gas Company.

21 I want to thank the Board members. You had a  
22 very rigorous dialog this morning, and I want to thank you  
23 for your patience.

24 I specifically want to comment on your proposed  
25 Air Pollution Research Plan for fiscal year 2014-2015.

1 The Gas Company is excited to see the scope and depth of  
2 these 14 research projects proposed by staff today. We're  
3 particularly supportive of and interested in two proposed  
4 research projects. First, the potential to built current  
5 natural gas fueling infrastructure to accommodate the  
6 future conversion to near zero transportation technology.  
7 And second, the wheel to wells pathways for zero and near  
8 zero technology in California's heavy-duty sector. These  
9 are under the climate change transportation and  
10 sustainable communities pages 27 and 28 of the proposed  
11 plan that was circulated.

12 We believe these projects will advance the use of  
13 natural gas as a long-term clean fuel for the future of  
14 California as we discuss with Chair Nichols and her senior  
15 staff last month.

16 Also, these projects, as you know, help to move  
17 forward AB 32 greenhouse gas reduction requirements as  
18 well as further ARB's progress on its low carbon fuel  
19 standard program.

20 Most importantly, So Cal Gas would like to offer  
21 its expertise to the ARB research team in moving these  
22 research projects forward. We're already working in close  
23 collaboration with the California Energy Commission in  
24 developing its transportation and fuel research  
25 priorities, as well as the South Coast Air Quality

1 Management District and others.

2 Southern California Gas has its own research  
3 development and demonstration program that can help to  
4 leverage the funds that you're spending on these two  
5 proposed projects to expand the project scopes with  
6 meaningful research findings, resulting in a better return  
7 for investments for your Board.

8 We look forward to discussing such a partnership  
9 with the ARB research team and support approval of the  
10 research plan, particularly the two projects I've  
11 highlighted. And again, I thank you for your time and  
12 consideration.

13 CHAIRPERSON NICHOLS: Thank you very much. I  
14 believe we have quite a bit of experience in partnering  
15 with other entities on Research Programs. I don't know  
16 the specifics of this one, but I'm sure the staff will be  
17 following up with you. So thank you.

18 MR. Tunnell.

19 MR. TUNNELL: Good morning, again. Mike Tunnell,  
20 American Trucking Association.

21 And just wanted to talk about one proposal that  
22 looks at the trailer aerodynamics for basically the  
23 non-regulated trailers under your in-use regulation. And  
24 I don't know how locked in these research projects are.  
25 So you know, what I'm going to just discuss is kind of

1 what we've seen in terms of aerodynamic testing. And  
2 maybe this is another project for Professor Sperling to  
3 pursue down the road.

4 But you know, what the proposal proposes is the  
5 do wind tunnel testing. And that is one of a number of  
6 types of aerodynamics testing that's available. And the  
7 fleets have done quite a bit of testing of aerodynamic  
8 technologies in the recent years. What we found is that,  
9 you know, different test methods and different aerodynamic  
10 technologies yield different results. And so there's  
11 really no consensus on what the best method is. They're  
12 all good in their own ways. And you may get different  
13 answers depending on which test method you use. So we  
14 would suggest trying to expand -- you know, add another  
15 test method, if possible, to this just so that you have  
16 kind of that interplay between the different test methods.

17 The other thing is just to ensure that California  
18 conditions are reflected in the testing. California does  
19 have one of the lower speed limits in the nation. And,  
20 you know, speed plays a very important factor in  
21 aerodynamic. And depending on what type of operations you  
22 have, where you're traveling, speeds will vary. So you  
23 know, wind patterns, travel -- types of travel are all  
24 important. And also the type of tractor that is pulling  
25 the trailer will have important implications in the

1 testing. So that should be reflected in this project.

2 And lastly, confirming the lab results to real  
3 world conditions. What fleets are finding is that they  
4 get one answer through lab testing, and they get another  
5 answer when they get out there in the real world. And we  
6 would -- you know, I think everybody would benefit if we  
7 can kind of get to the -- you know, as close to the  
8 correct answer as to what this technology does in the long  
9 run.

10 So thank you for allowing me to speak.

11 CHAIRPERSON NICHOLS: Thank you for raising those  
12 points. I trust staff will consider them as they move  
13 forward. I'm seeing head nodding out there. Okay. I see  
14 no other witnesses on this item. So we'll close the  
15 record and ask for a motion to approve the proposal.

16 BOARD MEMBER BERG: So I move.

17 BOARD MEMBER SHERRIFFS: Second.

18 BOARD MEMBER BALMES: I think I have to recuse  
19 myself. U.C. would be the beneficiary of multiple --

20 CHAIRPERSON NICHOLS: Okay. That probably would  
21 be the sensible thing to do.

22 BOARD MEMBER SPERLING: Ditto from this end.

23 CHAIRPERSON NICHOLS: We'll have two  
24 abstentions -- recusels on this item.

25 I'll call for a voice -- well, maybe it's easier

1 to do it by roll call then, so it will be clear.

2 Madam Clerk, would you please call the roll?

3 BOARD CLERK JENSEN: Ms. Berg?

4 BOARD MEMBER BERG: Yes.

5 BOARD CLERK JENSEN: Mr. Eisenhut?

6 BOARD MEMBER EISENHUT: Yes.

7 BOARD CLERK JENSEN: Supervises Gioia?

8 BOARD MEMBER GIOIA: Yes.

9 BOARD CLERK JENSEN: Mayor Pro Tem Mitchell?

10 BOARD MEMBER MITCHELL: Yes.

11 BOARD CLERK JENSEN: Mrs. Riordan?

12 BOARD MEMBER RIORDAN: Aye.

13 BOARD CLERK JENSEN: Supervisor Roberts?

14 BOARD MEMBER ROBERTS: Aye.

15 BOARD CLERK JENSEN: Supervisor Serna?

16 BOARD MEMBER SERNA: Aye.

17 BOARD CLERK JENSEN: Dr. Sherriffs?

18 BOARD MEMBER SHERRIFFS: Yes.

19 BOARD CLERK JENSEN: Chairman Nichols

20 CHAIRPERSON NICHOLS: Aye. The motions passes.

21 CHAIRPERSON NICHOLS: Thank you very much.

22 We do have one public comment sign up for the  
23 open public comment period. And that is from Mr. John  
24 White, who has been patiently sitting in the front here.  
25 John, this is your time.

1           MR. White: Thank you, Madam Chair. And good  
2 morning, Board members. I love to come to Board meetings.  
3 It always inspires ideas and memories and fondness.

4           I took the time to come over this morning because  
5 I wanted to continue to raise and emphasize the need that  
6 I see for some further -- a further sense of urgency  
7 regarding a short-lived climate pollutants that we've  
8 begun to better understand.

9           I was happy to see in the research plan that  
10 there is some attention being given. But we seem to be a  
11 little -- taking too much time to get ready to move on  
12 this. And I wanted to suggest that the Board really  
13 commend itself to the recent adjustments from the IPCC  
14 that really tell us that the methane problem is urgent.  
15 It's worse than we thought. Our measurements are not  
16 really measurements. They're mostly estimates. And  
17 estimates are off based on recent research that's been  
18 done in the atmosphere with airplanes. Also some amateur  
19 folks that have gone around and measured. So we don't  
20 have a good handle, for the -- which is unusual. Because  
21 normally in California and with this agency and the  
22 districts, we start with inventories. And we don't have  
23 good inventories for methane.

24           I also think that the oil and gas industry is the  
25 most likely place to start. I'm glad this is on the

1 Board's agenda. But I really wanted to urge you as a body  
2 to take this on fully.

3 I think there is some extraordinarily good  
4 science being done in this state. I think it would be  
5 useful if not to form a Scientific Advisory Committee, as  
6 we've suggested, to gather these folks at some point.  
7 Maybe a symposium of some kind, and really get on top of  
8 this research. EPA -- as my colleagues in Environmental  
9 Defense have recently been urged to adjust federal policy.  
10 There is a big role for them to pay in terms of how they  
11 treat methane as an ozone precursor and how we measure it  
12 and control it.

13 So to me, this is something that's within our  
14 wheelhouse. And it's really, really important. And it's  
15 been on my mind because I've been reading a lot of stuff  
16 about it.

17 Also, black carbon remains a concern. And in  
18 this case, we are downwind of our friends in China. And  
19 so it isn't just the fact that we generate a lot of black  
20 carbon in the diesel sector. The freight plan that you  
21 discussed earlier will have a bearing on that. But I also  
22 think that when we talk about wild fires, open burning,  
23 fireplaces, this is black carbon, too. It's not just  
24 public health.

25 So I just hope that the Board will give this some



1 of its full attention in the coming year. We are doing  
2 some work on our own to try to develop ideas and  
3 information to share with the staff. Colorado recently  
4 adopted some regs. So we'll be conveying some of that  
5 information to the staff.

6 But I just wanted to come today and tell you that  
7 this really is important. I know you're started on it.  
8 But I'd like to see if we could step it up a few notches  
9 and really get to work hard on this, because I think  
10 people will listen to this Board, not just for the actions  
11 you take, but for the science you highlight and the  
12 emphasis you place on these important pollutants as part  
13 of the global debate. So thank you for your attention.

14 CHAIRPERSON NICHOLS: Thank you, John. Thanks  
15 for joining us.

16 BOARD MEMBER SPERLING: Chairman Nichols, can I  
17 just support that statement very enthusiastically?

18 CHAIRPERSON NICHOLS: Sure.

19 BOARD MEMBER SPERLING: I've been thinking the  
20 same thing for quite a while. I think as it turns out,  
21 California is probably doing better than the rest of the  
22 country in terms of methane leakage. If that's really  
23 true, that's really important in terms of all of our  
24 policies that deal with the use of natural gas across the  
25 board. We really need to get on paying attention to the

1 situation.

2 CHAIRPERSON NICHOLS: It has multiple areas where  
3 the issue manifests itself. And John highlighted a couple  
4 of them. But there are many.

5 I guess my personal focus for this issue has been  
6 on the updated Scoping Plan, which as you know has a first  
7 draft out. But which needs to be revived.

8 MR. WHITE: We're actually glad you're taking  
9 more time to add some things.

10 CHAIRPERSON NICHOLS: In response to some very  
11 strong public comment that we received about the need to  
12 improve it. That is one of the things that we are  
13 definitely focusing on. But it really does pervades a  
14 number of different areas.

15 I just want to say in terms of highlighting the  
16 issue -- and I know it was not -- we have not been accused  
17 of doing nothing, but I do point out that we actually held  
18 a Haagen-Smit symposium on this issue a number of years  
19 ago since I've been back on the Board and have had reports  
20 to the Board, which is one of the ways in which we  
21 highlight the importance of issues.

22 So I think we may not be moving fast enough to  
23 satisfy everyone. We probably couldn't. But I do think  
24 that we have indicated in the past a significant interest  
25 and seriousness about this issue. And we'll try to step

1 it up even further.

2 BOARD MEMBER BALMES: If I could add one comment.  
3 Fracking is very controversial, period. But the methane  
4 release during fracking is something that, you know, is  
5 not always paid attention to. So I agree with Mr. White  
6 that the oil and gas industry is an area where -- is a  
7 sector we need to focus on with regard to methane release.

8 CHAIRPERSON NICHOLS: I'm sure they'll be pleased  
9 to know we'll be giving them even more attention in the  
10 coming year.

11 BOARD MEMBER BALMES: They deserve it.

12 MR. WHITE: Thank you, Madam Chair.

13 CHAIRPERSON NICHOLS: Thank you.

14 All right. Do we have any further comments? Any  
15 further business to come before this body? If not, it's  
16 my great pleasure to wish all of you a very happy holiday  
17 and a good new year and see you all back in January.

18 (Whereupon the Air Resources Board meeting  
19 adjourned at 11:58 AM)

20

21

22

23

24

25

